

U.S. DEPARTMENT OF COMMERCE

+ + + + +

NATIONAL OCEANIC AND ATMOSPHERIC ADMINISTRATION  
(NOAA)

HYDROGRAPHIC SERVICES REVIEW PANEL

+ + + + +

PUBLIC MEETING

+ + + + +

THURSDAY  
AUGUST 30, 2018

+ + + + +

The Hydrographic Services Review Panel  
met at the Elizabeth Peratrovich Conference Hall,  
320 W. Willoughby Avenue, Juneau, Alaska, at 9:00  
a.m., Joyce Miller, Chair, presiding.

HSRP MEMBERS PRESENT

JOYCE E. MILLER, HSRP Chair  
EDWARD J. SAADE, HSRP Vice Chair  
DR. LARRY ATKINSON  
SEAN M. DUFFY, SR.  
LINDSAY GEE  
KIM HALL  
EDWARD J. KELLY  
CAROL LOCKHART  
DR. DAVID MAUNE  
CAPTAIN ANNE MCINTYRE  
CAPTAIN (ret. USCG) ED PAGE  
SUSAN SHINGLEDECKER

JULIE THOMAS

GARY THOMPSON

## NON-VOTING HSRP MEMBERS

CAPT ANDY ARMSTRONG (ret. NOAA Corps), Co-Director, NOAA/University of New Hampshire Joint Hydrographic Center

JULIANA BLACKWELL, Director, National Geodetic Survey, NOS

RICH EDWING, Director, Center for Operational Oceanographic Products and Services, NOS

DR. LARRY MAYER, Co-Director, NOAA/University of New Hampshire Joint Hydrographic Center

## STAFF PRESENT

REAR ADMIRAL TIM GALLAUDET, Ph.D. (ret. USN), Assistant Secretary of Commerce for Oceans and Atmosphere, and Acting Undersecretary of Commerce for Oceans and Atmosphere, NOAA

REAR ADMIRAL SHEP SMITH, HSRP Designated Federal Official; Director, Office of Coast Survey

GLENN BOLEDOVICH, Policy Director, Policy and Constituent Affairs Division, National Ocean Service

CAPTAIN RICK BRENNAN, Office of Coast Survey

ASHLEY CHAPPELL, Office of Coast Survey

VIRGINIA DENTLER, Center for Operational Oceanographic Products and Services

COLBY HARMON, Office of Coast Survey

DR. NICOLE KINSMAN, National Geodetic Survey

CAPT ELIZABETH KRETOVIC, Office of Coast Survey

LAURA REAR McLAUGHLIN, Center for Operational

Oceanographic Products and Services

LYNNE MERSFELDER-LEWIS, HSRP Coordinator

NEERAJ SARAF, Office of Coast Survey

**ALSO PRESENT**

**MICHAEL EMERSON, Director, Marine Transportation  
Systems Management, U.S. Coast Guard**

**PAUL FUHS, President, Board of Directors, Marine  
Exchange of Alaska**

**WILLIE GOODWIN, JR., Chair, Arctic Waterways  
Safety Committee, Kotzebue, Alaska**

**JAY STERNE, President, Windward Strategies, LLC**

## CONTENTS

Day 2 Recap. . . . .	5
Update from Technology Working Group Ed Saade . . . . .	.39
HSRP special session: Addressing Arctic Challenges	
Michael Emerson. . . . .	.50
Willie Goodwin, Jr.. . . . .	.57
Jay Sterne . . . . .	.86
Public Comment . . . . .	122
HSRP Emerging Arctic Priorities Working Group discussion . . . . .	135
Planning and Engagement Working Group: NOS Updates	
Dr. Nicole Kinsman . . . . .	170
Laura Rear McLaughlin. . . . .	176
Cap. Richard Brennan . . . . .	182
Capt. Elizabeth Kretovic . . . . .	188
Neeraj Saraf . . . . .	192
Colby Harmon . . . . .	199
Ashley Chappell. . . . .	203
HSRP Member Discussion and Recap:	
Review of meeting, recommendation letter, final comments to public documents, priorities, next steps . . . . .	218
Adjourn. . . . .	319

1 P-R-O-C-E-E-D-I-N-G-S

2 (9:01 a.m.)

3 CHAIR MILLER: Thank you everyone.

4 Good morning and welcome to the Thursday morning  
5 session of the Hydrographic Services Review  
6 Panel.

7 I'd like to thank everyone for  
8 yesterday's excellent session in the morning and  
9 our remarks by Admiral Gallaudet and Nicole  
10 LeBoeuf. Hopefully I didn't mispronounce that  
11 name too terribly. LeBoeuf.

12 So the first thing this morning, as  
13 normal for us, is we'll go around the room and  
14 get comments. I think I'll mix it up a little  
15 bit. Susan Shingledecker, how would you like to  
16 start?

17 Everybody over there complained about  
18 being last so I'll make you first.

19 MEMBER SHINGLEDECKER: I haven't even  
20 got my laptop fired up yet with my notes.

21 (Laughter.)

22 MEMBER SHINGLEDECKER: I guess what

1 struck me yesterday really was our tour of the  
2 Marine Exchange and just really the innovative  
3 nature that Ed and his team have taken in their  
4 approach to finding where the gaps are and  
5 filling that.

6 And I think as someone who works in  
7 the nonprofit sector, that's often what we do  
8 best. And just seeing an example of another  
9 really innovative organization that's looked at  
10 ways to have really sustainable sources of  
11 revenue, to continue the work that they do and to  
12 just be able to overcome challenges that people  
13 find with, sometimes with governmental entities  
14 things take longer to get done.

15 And I mean, his team was saying, oh,  
16 you guys need a weather station there, you need  
17 some weather data, we can get that up in a week.  
18 I mean, that was amazing.

19 So that was really the biggest  
20 takeaway for me and just appreciation to Ed and  
21 his team for all that they're doing and it's a  
22 great model.

1 VICE CHAIR SAADE: Lindsay.

2 MEMBER GEE: Yes, Lindsay Gee. I think  
3 I'll also repeat what Susan said, and I think  
4 that reflects yesterday, as I said, coming to  
5 Alaska it's like, you see it's the last frontier  
6 and there are fewer people and they have to get  
7 things done, they have big challenges and they  
8 just get on and do it.

9 And I think that's a big difference we  
10 see, and I think Ed's was a great example of  
11 that. I was really very impressed.

12 A takeaway from yesterday, the AMEC  
13 meeting, I guess it was good to, great to see  
14 that moving forward and finally getting to the  
15 blue bits I guess is what I would say.

16 It's good to see that and it would be,  
17 it's important that, obviously for that move to  
18 forward, all of that foundation data I guess that  
19 --- underlying isn't seen, but that just has to  
20 be done. So I think that's something, it was  
21 good to see that happening and going forward.

22 MEMBER HALL: Hi, it's Kim Hall and I

1 knew Susan was going to steal my thunder.

2 I think the big thing with regard to  
3 yesterday is that HSRP could use an emotional  
4 support dog named Zoe. I'd like to see that  
5 happen at the next meeting.

6 But really, I think to echo what Susan  
7 said, it's amazing what they can do with so  
8 little. And it's also amazing how agile groups  
9 like the Marine Exchange, and I think Ed's group  
10 here in Alaska is probably the gold standard,  
11 even though they don't always need the gold  
12 standard, they are a gold standard themselves  
13 with regard to being flexible, agile and really  
14 being able to meet the needs of the community  
15 here. So I think that's something that we just  
16 have to keep in the back of our minds.

17 I know that we have not heard much  
18 here, most meetings we hear about PORTS, the  
19 PORTS system. And I think up here what we've  
20 learned is while it's a valuable system there are  
21 other ways to go about getting some of that data  
22 and that they have the capability to share more



1 with folks going by.

2 And yes, I know we would love for more  
3 PORTS, especially if it was federally funded, but  
4 if you can't get that, obviously some of these  
5 more agile creative solutions have been very  
6 helpful to the mariners up here. So thanks.

7 MEMBER THOMPSON: Gary Thompson. I  
8 was very impressed yesterday with the Marine  
9 Exchange for their innovation in their ways of  
10 meeting the needs of the community. I think it  
11 was a great example of a partnership with  
12 government.

13 I too was impressed when they talked  
14 about when somebody needs something they would  
15 take action and get it done in a very short time.  
16 So, a good example of what can be done in other  
17 areas of the country.

18 MEMBER LOCKHART: I think this is  
19 going to get really repetitive by the time we get  
20 around to you, Joyce. But yes, same thing, I  
21 think the Marine Exchange and the work they're  
22 doing up here is just really impressive.

1           That same, like everybody said, being  
2 agile, just going out and getting things done  
3 that they know need to be done is a really good  
4 example and, yes, I was really impressed. I  
5 don't think there's anything to add to that that  
6 people haven't already said, so.

7           MEMBER ATKINSON: I didn't even try to  
8 comment about the Marine Exchange because I knew  
9 it would be taken by now.

10           (Laughter.)

11           MEMBER ATKINSON: One thing that kind  
12 of intrigued me was the, you know, where is the  
13 shoreline and the activities that are going on to  
14 define that between the different agencies. I  
15 know in our home area shorelines are changing but  
16 I hadn't thought about it that much and how you  
17 actually define where they are and the  
18 implications. So it might be nice to hear about  
19 that more in the future.

20           MEMBER MCINTYRE: I'm going reiterate  
21 the comments on the Exchange, I thought it was  
22 great exposure.

1           The one thing in our group, when we  
2           were visiting kind of the command central there,  
3           we had some discussion about re-broadcasting and  
4           pushing out of real-time data. And one of the  
5           things that came up, that it's something that I  
6           think we should as a Panel support, is NOAA data  
7           being broadcast over AIS and kind of trying to  
8           work better on that relationship in order to push  
9           that, the PORTS data, out over AIS.

10           MEMBER KELLY: Good morning, Ed Kelly.  
11           As usual, a lot of -- already stuff has been  
12           stolen.

13           We haven't mentioned yet, but I  
14           appreciate the directors' reports. That's a  
15           great opportunity for us to just get periodic  
16           updates of what the directors are seeing on their  
17           dashboard and through the window looking ahead  
18           through the windshield.

19           So, I always value that and I think  
20           it's important, I'm glad we do that every time  
21           and I hope we do continue to do that.

22           I'm glad that everyone has finally

1 realized that everybody involved in Marine  
2 Exchanges are really cool.

3 (Laughter)

4 (Off microphone comment.)

5 MEMBER KELLY: Yes. Well, not all of  
6 us but the best of them are. Of course, the  
7 other point to realize, which some may have  
8 picked up and some didn't, Zoe is the brains of  
9 the operation. She hires Ed to be the public  
10 spokesman because she doesn't like to leave the  
11 house, that's all.

12 But I think the key thing is faster,  
13 cheaper, better. We were hearing that with the -  
14 - and we heard yesterday from the people in the  
15 IOOS groups and the RAs.

16 RAs, Marine Exchange, there is a lot  
17 of organizations, many of them nonprofit, all of  
18 them, they're associated with the topics that we  
19 are driving and want support from. And this  
20 amazing stuff that can get done in Ed's Marine  
21 Exchange is being done in a lot of other Marine  
22 Exchanges.

1                   And there's cool stuff being done in  
2 a lot of the RAs. And I think we have to be a  
3 little more structured to aggressively reach out  
4 to harness and use some of that so far, perhaps -  
5 - I wouldn't say un-channeled energy, but maybe  
6 improperly or insufficiently channeled energy, to  
7 get that stuff out there and get all of this  
8 horsepower working together to help us forward  
9 some of our projected goals.

10                   MEMBER DUFFY: Yes, Sean Duffy, Big  
11 River Coalition. And I've known Ed Page for  
12 about 15 years and it was really neat yesterday  
13 to put eyes on the work that he's been doing.

14                   And you know, it's my first time to  
15 Alaska. I live in a land that's very different,  
16 but it was interesting to hear that we have a lot  
17 of similar challenges related to the coastline  
18 and changing dynamics around it and how to get  
19 the information out to the mariners, making  
20 people aware of what's there and trying to find  
21 ways to fill in what's not there.

22                   And I think Ed and I both have kind of

1 the commonsense approach to, kind of like rivers,  
2 we hit something hard we may bounce off but we're  
3 still going to keep flowing and trying to find  
4 the sea at the end. So thank you.

5 MEMBER MAUNE: Dave Maune from  
6 Dewberry. Juliana and Admiral Gallaudet and I  
7 did not go to the Exchange yesterday afternoon  
8 because we were attending the Alaska Mapping  
9 Executive Committee, AMEC meeting, which made me  
10 very happy because I was able to present on the  
11 Alaska IfSAR mapping success story.

12 And that success story is being used  
13 as a model on how can we apply the lessons  
14 learned along the way in doing the topographic  
15 mapping of Alaska, to extend to the bathymetric  
16 side of Alaska, which is our -- the next thing on  
17 the docket.

18 And I'm especially pleased because the  
19 AMEC, in the past, has had the USGS focus for  
20 topographic mapping, and now we have co-chairs.  
21 And the Admiral is Co-Chair of the AMEC now.

22 And so, he and the USGS director are

1 co-chairs. And I am absolutely delighted to see  
2 that, and that will help us in that transition  
3 from the topographic focus to the bathymetric  
4 focus that's so dearly needed up here.

5 (Applause.)

6 MEMBER THOMAS: Okay. Julie Thomas,  
7 HSRP. Geez, there were lots of things yesterday.  
8 I really enjoyed listening to some of the new  
9 technologies that are out from ASV and charting  
10 as to the challenges of establishing a VDatum in  
11 Alaska.

12 I loved Dave's IfSAR presentation and  
13 hearing the Denali surveying story. That kind of  
14 -- you don't appreciate sometimes what goes into  
15 getting these, I don't know, scientific datums  
16 that we need.

17 And Shep, I'm not going to quote you  
18 exactly because I can't write fast enough, but  
19 you made this statement which really rang true  
20 with me yesterday. You said something about the  
21 value of services, of NOAA services, for  
22 engineering in the ocean environment and how they

1 contribute to the economic development and how  
2 you need to package services in a way to make  
3 them relevant to stakeholders.

4 And this, I think, was in relationship  
5 to getting fuel ashore and what you might be  
6 thinking about in the future to help survey that  
7 shoreline area that's so difficult. I thought  
8 that was a really nice statement.

9 (Off microphone comment.)

10 (Laughter.)

11 MEMBER THOMAS: I was copying it down  
12 and I'm going, oh my God, I've got to capture  
13 that, and then I don't know if it was right. But  
14 anyway, I love that idea.

15 And I think that that's a real  
16 benefit, obviously, of hearing these stakeholders  
17 but also hearing on the new technology side  
18 because it keeps pushing us into that arena of  
19 what we're not doing, where the gaps are where  
20 we're not covering yet. And I thought that was a  
21 really key statement.

22 And of course, Ed, the Marine Exchange



1 was fantastic. And the little I have worked with  
2 AIS in trying to deal with getting data in there,  
3 my heart goes out to you because you've done a  
4 great job.

5 RDML SMITH: Thank you.

6 MEMBER PAGE: I think my highlight and  
7 the biggest observation of the day was how  
8 impressed I was or surprised, how much beer HSRP  
9 can drink --

10 (Laughter.)

11 MEMBER PAGE: -- in a sunny day on my  
12 deck, so we have to replenish the keg I think,  
13 but kudos to you there. And then follow-up by  
14 gin, so I was very impressed actually.

15 I'm also impressed that, I appreciate  
16 all of the positive comments. I think it's great  
17 that in the very competitive Juneau Empire, that  
18 we've made the front page for two days in a row.  
19 There is no mention of Stormy Daniels or anything  
20 else, you beat her out. So that's pretty hard to  
21 do.

22 And it's eight pages, so you made the

1 front page. But I think the key thing there is,  
2 it's a small paper only but it talks about very  
3 relevant things to Alaska, so it's great that  
4 Alaskans really do pay attention.

5 It's a maritime state. There is no  
6 state more maritime than Alaska, when you think  
7 in the enormity of it and how dependent we are on  
8 it and what have you.

9 So NOAA is certainly a big player and  
10 it's nice to see they're getting attention. So,  
11 I was glad to see that kind of recognition of  
12 NOAA and what we're trying to do here so that's  
13 terrific.

14 Also, probably my more productive  
15 point, I hope I don't put words in people's  
16 mouths, especially since they were spoken at Red  
17 Dog Saloon about 10 o'clock at night over a  
18 couple of beers, but with Mike Emerson and the  
19 Coast Guard we were discussing, how can we get  
20 PORTS incorporated and the AIS dissemination  
21 thing. So I think the Coast Guard is -- I know  
22 the Coast Guard is interested because they did

1 this CRADA, and the report's not out yet but I  
2 saw the draft report and of course, this  
3 technology can work and whatever, we've been  
4 doing it for five years.

5 So I'm very hopeful that, and the  
6 opportunity to sit down with NOAA and the Coast  
7 Guard and ourselves, the marine industry, all  
8 have the same interests, can we somehow put this  
9 together. So I think that part of the thing is  
10 getting the right people together in a room and  
11 an opportunity to explore, discuss, see, and see  
12 some opportunities to move forward.

13 And certainly some technological  
14 challenges but I think we've overcome most of  
15 those things and we've demonstrated we can do it,  
16 and we are doing it to some extent right now.

17 And the pilot program wraps up in a  
18 month and the question is, do we go on or do we  
19 stop. And I think that we have some ideas about  
20 moving forward, so I think that was also very  
21 productive.

22 And likewise, or similarly, the Marine

1 Exchanges in the country are meeting here in a  
2 couple weeks, in Baltimore, and one of our  
3 discussion items is, how can the Marine Exchanges  
4 play a role in helping push out this data through  
5 our AIS network. And we have a national AIS  
6 network.

7 So there may be some quick easier ways  
8 of going down this path, public-private  
9 partnerships, accelerating some of the  
10 implementations to capabilities. So, to that  
11 end, I'm very pleased with it.

12 We want some tangible, we want some  
13 products to come out of this that move the ball  
14 forward, and I think we're going to move the ball  
15 forward in several arenas as far as hydrographic  
16 surveys and dissemination of data and the new  
17 ways, approaches and technology, whatever.

18 So that's encouraging that it's not  
19 just a meeting, it's a meeting that delivers and  
20 provides some new opportunities.

21 So, I sure hope I didn't misrepresent  
22 our conversation late at night over a couple of

1       beers but I think it's pretty close to the mark,  
2       so thank you.

3                   MR. EMERSON:   Close enough.

4                   MEMBER PAGE:   Close enough, good.  
5       Thanks, Mike.   Glen.

6                   MR. BOLEDOVICH:   So, I don't have too  
7       much to add to what everyone has said, I would  
8       just -- so you know, we've been working with the  
9       Coast Guard, trying for many years, to get data  
10      put out of AIS.  And so I always tell the Panel  
11      every time we meet, so the best advocate for our  
12      programs is not ourselves it's our constituents.

13                   So if the Marine Exchanges can kind of  
14      push that, that may be what helps to push this  
15      over the top and we appreciate that support.

16                   CAPT ARMSTRONG:   Andy Armstrong.  So,  
17      like everyone, I was completely and thoroughly  
18      impressed with the Marine Exchange and what  
19      they're doing.

20                   And I also appreciated and was  
21      impressed with the IfSAR mapping presentation we  
22      got at lunchtime.  And I'd just like to point out

1 that I think it's notable that two members of our  
2 Panel are key people in both of those really  
3 important efforts and enterprises, so I think  
4 that says a lot about the Panel.

5 And I'm really pleased to be part of  
6 a Panel that has people on the leading edge of  
7 these kind of services.

8 DR. MAYER: Larry Mayer, Joint  
9 Hydrographic Center. And I of course thought  
10 that the highlight was the presentation of the  
11 Joint Hydrographic Center, but no, not really  
12 actually.

13 I also was really thrilled to see the  
14 bringing of the blue side to AMEC. I think for  
15 years we've been seeing this kind of dividing  
16 wall and I think it's wonderful to see that  
17 connection.

18 There are still going to be issues in  
19 terms of the actual transition, but the first  
20 step is recognition of the problem. And I think  
21 that's --- we're well over that, and I think that  
22 one will be resolved.

1           The IfSAR mapping presentation, also  
2 I thought was just fantastic. And hopefully it  
3 kind of presents a model for maybe the way we can  
4 address the offshore too.

5           I love that model about how all the  
6 different constituents, in this case both federal  
7 and non-federal kind of contributed to the cost,  
8 or should have contributed. At least they were  
9 on the list.

10           There was some zeros I noticed, but  
11 should have contributed to the cost of the  
12 collection of the data. And I think that's  
13 something we might strive for in the offshore  
14 too, but by far, to me, the highlight was the  
15 Marine Exchange.

16           And I asked Ed a question when we were  
17 there and I kind of -- I know the answer but I  
18 felt I needed to ask it, and I said, do you ever  
19 get people saying, well gee, that's something the  
20 federal government should be doing, why are you  
21 doing that, that's something the federal  
22 government should be doing.

1                   And deep inside the answer is  
2 probably, yes, it is. But it is not happening to  
3 the degree that is needed.

4                   And I think it's a credit to Ed and  
5 the other Marine Exchanges, all the Eds. And  
6 it's a credit to the nation, too, and our kind of  
7 entrepreneurial spirit and our agility that lets  
8 the private sector, or nonprofit in this case,  
9 step in and meet that need.

10                  And, at least from my perspective, and  
11 Ed might have a different view, seemed to be  
12 embraced by the federal agencies that you're  
13 actually helping because it is something that's  
14 helping everybody.

15                  So I was just so thrilled to see that  
16 and I think it bodes well for the future. So, I  
17 thank you all for that.

18                  RDML GALLAUDET: Thanks again for  
19 letting me join you all during this great  
20 meeting. I'm going to echo a bit and add to what  
21 Dave said about the Alaska Mapping Executive  
22 Committee meeting we attended yesterday



1       afternoon, because indeed you're right.

2                       This is the second time I attended  
3       that as a co-chair. And we took that initiative  
4       and we expanded the charter of this group to  
5       include the wet side, and it was very much a  
6       strategic move to get closer to the USGS and the  
7       Department of Interior.

8                       And so that's something that we have  
9       made a priority at NOAA since I've been on board,  
10      October 25th of last year. And so, very exciting  
11      to do that.

12                      And some things came up that I think  
13      this group ought -- should be mindful of. And  
14      that is, I know we tend to focus our discussions  
15      around the navigation contributions of  
16      hydrography, but there are many more and very  
17      important.

18                      One occurred when I visited the  
19      Department of Homeland Security officials. And  
20      that is the importance of knowing the sea bed and  
21      tsunami modeling and planning. A real concern  
22      for this state.

1                   And so charting in the Arctic and the  
2 Atlantic, or pardon me, in Alaska, is very  
3 important for that purpose, to improve our  
4 tsunami prediction and warning.

5                   Another piece that wasn't addressed,  
6 but I'm very mindful of every day, is support to  
7 our fisheries and habitat characterization and  
8 conservation. And mapping is critical to that.

9                   And then thirdly, as might have been  
10 discussed I think at some point during this  
11 meeting, is the need for mapping and  
12 characterization to implement the President's  
13 Critical Minerals Executive Order. Because there  
14 is no real, as USGS has noticed, there is no real  
15 boundary there at the shoreline, the potential  
16 exists offshore as much as onshore.

17                   In fact, I thought it was really  
18 extraordinary, I read an article, a peer-reviewed  
19 journal paper that one of our scientists  
20 published, that the mineral potential of the  
21 Pacific, I think it's called crustal zone and the  
22 Clarion-Clipperton Zone, exceeds that of all

1 terrestrial sources by three orders of magnitude.  
2 A thousand times.

3 So that's the potential we have  
4 offshore. And we are going to, we need to study  
5 that, map it and use that to our advantage  
6 knowing that we are 100 percent dependent on  
7 foreign sources for rare earth metals.

8 So, great opportunity here and I thank  
9 you for allowing me to contribute.

10 RDML SMITH: Thank you, Admiral. I  
11 wanted to take a different perspective on the  
12 Marine Exchange. I agree with everything that  
13 everyone said.

14 I guess what's tickling around in the  
15 back of my mind is, here is this really great  
16 nimble organization that's able to get the right  
17 people on board, have flexible IT, have authority  
18 to do things at the right time and the right  
19 place, be responsive to customers.

20 What is it about the structure of  
21 government that constrains us from being that  
22 guy?

1                   And I'm looking a little to my left  
2 here for some thinking about on this --

3                   (Laughter.)

4                   RDML SMITH: -- because I think there  
5 are those things that we talk about, about  
6 ourselves, about backlog and hiring, IT systems  
7 that are too constrained, and we hear that all  
8 the time amongst ourselves. But when you add it  
9 all up, it keeps us from being that guy.

10                  And I think that there's a loss to the  
11 American people as a result of that, of us not  
12 being able to be that nimble. So that's the  
13 challenge I will take home with me, is to try to  
14 be that guy and to keep making my organization as  
15 nimble as we can within the constraints of the  
16 law.

17                  RDML GALLAUDET: I'll wager here,  
18 Shep, that you are that guy already and that,  
19 look at how much, what percent do you contract  
20 out for hydrography?

21                  RDML SMITH: About half.

22                  RDML GALLAUDET: About half. That's

1 a great development that we want to continue. And  
2 so, I'm talking about public-private partnerships  
3 and seeking to partner more with the private  
4 sector.

5 The National Ocean Policy talks about  
6 leveraging the National Oceanographic Partnership  
7 Program, for example, which is a superb vehicle  
8 for that. And so we are moving forward to do  
9 just that, to reinvigorate NOPP and other  
10 activities like it.

11 And we're doing it in a fairly big  
12 way. So we realize that the government-only  
13 approach is not --- it's sluggish, it's not agile  
14 and so we're making, we're prioritizing that kind  
15 of cooperative effort.

16 And I can go into the details of  
17 workforce management and other things, but we'll  
18 have a discussion, but know that that's our aim  
19 is to not be that guy.

20 CHAIR MILLER: Shep, I would say,  
21 first of all you have to get a dog named Zoe.

22 (Laughter.)

1                   CHAIR MILLER: Two things, or a couple  
2 of things I'd like to highlight, and the first  
3 one is the AMEC. First the IOOS group being with  
4 us, and now the AMEC group is just terrific in  
5 seeing how all these Panels can work together.

6                   And the second one is, again, about  
7 working together. Things that I've heard here,  
8 from the water level panel, how critical water  
9 level is.

10                  From Larry, what the new technologies  
11 are and what it's looking like. From all our  
12 stakeholders of, we need the flexibility and the  
13 agility.

14                  From Shep saying that broadcasting  
15 weather data is a navigation issue, it's not a  
16 Weather Service versus NOS type of -- but that  
17 broadcasting data on an AIS is a navigation  
18 service.

19                  And I'm thinking, particularly since  
20 I come from the mapping, or the bathymetry side,  
21 I think there are some potentially really good  
22 partnerships from the Allen Tours, from the

1 tugboat people, with the type of technologies  
2 that Larry is talking about and then prioritizing  
3 small scale, really small surveys in areas of  
4 interests.

5 If we could get sort of a starter  
6 group on how do you put together a small survey  
7 system with the appropriate technology, not just  
8 necessarily multibeam, to meet these individual  
9 needs of small communities.

10 And I went back, and I used to work  
11 for a guy who is sort of crazy, but he was a  
12 pilot and he wanted to put a multibeam sonar in  
13 the float of a float plane. Now, there's another  
14 potentially wacky idea, but I think this Panel,  
15 and bringing together the three Panels, really  
16 does a lot for that kind of synergy of effort.  
17 Ed.

18 VICE CHAIR SAADE: Ed Saade. So, in  
19 no particular order, just listening to everybody  
20 and thinking about all this, my list starts off  
21 with Larry's presentation and application of the  
22 ASVs improvements.

1                   And as I've always maintained, as the  
2 NOAA charting and funding that goes into UNH and  
3 invents all kinds of great new ways and new  
4 technologies gets absorbed by industry, we adapt  
5 all these types of things and go make a lot of  
6 money on things that were originally invented or  
7 produced through U.S. tax dollars.

8                   And it's real obvious to me, with  
9 what's going on at UNH, here's another one that's  
10 going to easily be adaptable to lots and lots of  
11 applications. So I thank you guys for that.

12                   And I want to reiterate on the merging  
13 of the data sets and the types of things that  
14 were being talked about with the AMEC  
15 presentation and the idea to take all this land  
16 and terrestrial data and take it right through  
17 the shoreline and start to merge it with the  
18 hydrographic data.

19                   It's great, to me personally, to see  
20 this. I've been running around Alaska for about  
21 ten years advocating for this, trying to get  
22 people's attention on it because we were able to



1 do this off California ten years ago with about  
2 24 agencies involved and move -- do exactly that,  
3 to move the data right through the surf zone with  
4 the support of several federal agencies plus the  
5 state agencies.

6 And to be frank with you, it's been  
7 frustrating for ten years to not have anybody  
8 else pick up that momentum and keep doing it, so  
9 it's great to see.

10 And as Dave pointed out, having the  
11 Admiral on the Committee now, that's fantastic,  
12 because let's face it, the data that's going to  
13 get collected now to make this one giant database  
14 for Alaska is going to be really dominated by the  
15 marine environment.

16 So NOAA's participation is critical to  
17 make this happen. And with Shep's organization  
18 and Juliana's organization, that's right where  
19 all that merging is going to happen, so this is a  
20 really great time to see all this coming  
21 together, so thanks.

22 MR. EDWING: So, I'll certainly second

1 all the things said about the Marine Exchange  
2 earlier but I will also highlight the AIS aspect.

3 As Glen said, we've been working with  
4 the Coast Guard for many years now trying to get  
5 PORTS data out over at the national level, and  
6 we've kind of been ready for a number of years  
7 and kind of waiting to take that last step.

8 Actually, in places where we did  
9 demonstration projects, Tampa Bay and Columbia  
10 River, that data is going out. It's continued to  
11 go out after those demonstration projects have  
12 been done.

13 So it was great to see how it's, you  
14 know, the work that's being done up here at the  
15 Marine Exchange and perhaps looking for  
16 alternative ways to get that data out.

17 And once we get PORTS data out, that  
18 just opens the door for NWLON and all sorts of  
19 other environmental data to get out there. And  
20 that was one of the original visions of AIS was,  
21 not just a maritime awareness, but also getting  
22 the environmental data out.

1                   So, very much looking forward to  
2 working Ed and others to help move that forward.

3                   And then the other thing I'll say is,  
4 I was also very pleased to see the -- our USGS  
5 colleagues here yesterday and the AMEC meeting in  
6 the afternoon, even though I'm not a part of  
7 that.

8                   You know, USGS and NOAA are both  
9 science agencies, we're both working in the  
10 coastal areas. There's a lot of great  
11 complementary things we are doing and maybe could  
12 be doing or should be doing.

13                   And there's actually a larger  
14 coordination effort going on right now between  
15 NOAA and USGS, based upon a meeting that was  
16 attended by the Admiral and at the highest levels  
17 of NOAA and USGS last year. And there's a number  
18 of themes that were created and then people are  
19 moving out on that.

20                   But I think yesterday was just one  
21 really great example of that, you know, what that  
22 collaboration can achieve. So, thank you.

1 MS. BLACKWELL: I'm Juliana Blackwell.  
2 I was delighted to be able to have the Alaskan  
3 Mapping Executive Committee effort be highlighted  
4 during the session yesterday, as well as to be  
5 able to have the meeting in conjunction with our  
6 time here at the HSRP.

7 And I think being able to highlight  
8 those interagency cooperative efforts, and  
9 especially for the National Geodetic Survey,  
10 being able to highlight some of the other things  
11 that we do that we don't necessarily focus on  
12 when we talk about the maritime side, but the  
13 fact that the underlying information that NGS  
14 provides, is being used by other federal partners  
15 and is quite critical to work such as updates for  
16 topography, et cetera.

17 I really, really appreciate the fact  
18 that we have NOAA and USGS, Department of  
19 Interior leadership support, to continue those  
20 efforts here in Alaska. It also relates to other  
21 efforts that are happening in the other states,  
22 jointly with USGS and other federal partners.

1                   So I think keeping that in mind  
2 because a lot of times we do hear negative  
3 things, how we're not working well together. And  
4 I think these are great examples in addition to  
5 what we heard earlier in the week, just how these  
6 different groups are working together well and  
7 how we are supporting each other. And  
8 coordinating where things seem to be a little bit  
9 blurry.

10                   And I think what we mean by  
11 hydrography, what we mean at NOAA by hydrography,  
12 what USGS is referring to when they say  
13 hydrography. I think keep that in mind that  
14 words have multiple meanings and applications.  
15 And it's important to understand the context of  
16 what's being discussed.

17                   So I think we're doing a great job of  
18 bringing those things together and ironing out  
19 those concerns that, what do you mean by that and  
20 how are we going to work together in this coastal  
21 space so that we make sure we're getting the most  
22 out of everything.

1           Also, just on my last comment, is on  
2           the subject of topography. Most of us flew into  
3           Juneau, or maybe other places first and then into  
4           Juneau, just keep in mind, it's really important  
5           to know where those mountains are and also to  
6           know where things are when you can't quite see  
7           them clearly.

8           It's really important to have that  
9           mapped and really appreciate the support of USGS  
10          of getting that work done here in Alaska so that  
11          we can all benefit from that. Thank you.

12          CHAIR MILLER: Thank you everyone for  
13          all the excellent comments. Next on the agenda  
14          is a brief update. We're running a tad late but  
15          we've got some elbow room later in the morning,  
16          so we want an update from our technology working  
17          group. Ed?

18          VICE CHAIR SAADE: I think they're  
19          queuing it up.

20          CHAIR MILLER: One thing while they're  
21          queuing things up that I neglected to answer, in  
22          my eight years with HSRP, that was the first time

1 I've ever seen the amount of representation from  
2 USGS at one of our meetings. I don't know past  
3 that history if they've attended before but it  
4 was a really excellent chance to work together.

5 VICE CHAIR SAADE: Okay.

6 CHAIR MILLER: Yes.

7 VICE CHAIR SAADE: All right, I can  
8 read from my notes here. This is a summary of  
9 what -- oh, here we go, good timing.

10 This is a summary of what's been going  
11 on since we met in Miami. Next slide please.

12 The planned activities for the next  
13 six months, potential collaboration with the  
14 Science Advisory Board and other topics and ideas  
15 from anybody in the group. So we'll probably  
16 skip bullet four in the interest of time right  
17 now.

18 So, next slide. So, over the past  
19 five months or so we had a presentation on Chart  
20 of the Future: A Path to Textual  
21 Interoperability, Briana Sullivan, which was very  
22 much an e-version of the Coast Pilot. And I

1 thought it was a really interesting presentation,  
2 really interactive.

3 It's also interesting to note that the  
4 folks that we saw on the panel earlier this week  
5 have memorized the Coast Pilot so much that they  
6 don't even refer to it anymore, so that's another  
7 hurdle and interaction we'll have to think about  
8 as this moves forward.

9 And then Ed gave a presentation on AIS  
10 through the GoToMeeting process so the general  
11 public outside of this group could get a feel for  
12 it. But obviously being in his office and seeing  
13 it firsthand is really where you feel the real  
14 power of it.

15 And then we had a couple of different  
16 detailed discussions with SAB, mostly with myself  
17 attending their meeting up in New Hampshire in  
18 July.

19 Next slide. We'll come back to this  
20 topic later on this afternoon, but the planned  
21 topics for the next six months, we want to have a  
22 GoToMeeting based on some of the requests and



1 discussions with SAB, I'll get to that in the  
2 next slide.

3 And also, it's time for an update on  
4 Seabed 2030 status, data transfer updates. And  
5 we'll organize one of those for either in  
6 November, I think we were thinking, and then one  
7 other month, probably early January or February  
8 before we get together in March.

9 So, we'll position those two. And the  
10 technical discussion, we've asked Larry to have  
11 one of his staff or students talk about  
12 specifically multibeam echosounder and derived  
13 products from that relative to fisheries  
14 applications and things.

15 And of course, any ideas from the rest  
16 of the Panel, please speak up.

17 Next slide. So this is some of the  
18 feedback derived from the discussions with SAB  
19 and where the parallels or overlaps might be,  
20 relative to HSRP and SAB.

21 Two key items. Number one is  
22 leveraging hydrographic mapping and measurements

1 for Fisheries uses.

2 For some of this in this organization,  
3 this is obviously already happening and it's  
4 being, growing more mature in larger applications  
5 all the time, but from the SAB side it was pretty  
6 apparent that was news to them.

7 So we think this is a really quick hit  
8 that's going to be beneficial to demonstrate how  
9 all these different varieties of ways that we  
10 collect multibeam data and backscatter and maybe  
11 some other real-time data acquisitions and  
12 generate the derived products that are  
13 immediately available, or quickly available and  
14 immediately applicable to what the Fisheries  
15 folks are doing and researching.

16 And then to increase that awareness in  
17 conjunction with SAB relative to what seems like  
18 a common activity for the HSRP people.

19 So, that first step is what we  
20 mentioned before, is to develop an informational  
21 webinar with invited speakers and make sure that  
22 those within the SAB that want to attend are

1 aware of it and get that --- spend enough time  
2 during the webinar to ask questions and expand on  
3 all this.

4 Next slide. So the other idea that  
5 came up was taking all the data, basically the  
6 types of data that Shep's group and Juliana's  
7 group acquire and use that for forecasting and  
8 modeling conditions in nearshore, coastal, and  
9 estuarine navigable waters.

10 So this is a little bit less  
11 immediate. This is something that everybody is  
12 interested in and it's going to take time to  
13 develop and it's going to take a lot of  
14 interaction and discussion to be able to get a  
15 path on how to go forward with this.

16 So part of that is the increased  
17 availability of real-time data streams,  
18 computational platforms, data assimilation. All  
19 the different types of physical characteristics  
20 can be measured, waves, currents, tides, et  
21 cetera.

22 So what is needed to increase the

1 development of such a multi-use forecasting tool  
2 within NOAA?

3 Well, that's a big question and a big  
4 picture and that's something that we'll -- the  
5 best we can do is kind of point people in the  
6 right direction and put together the right people  
7 in the two respective organizations to try and  
8 move this forward in much larger steps rather  
9 than just a wish list.

10 So the first step of what we agreed  
11 to, review the literature and continue  
12 discussions, develop the approach for  
13 articulating the set of best practices for  
14 multipurpose, nearshore, and estuarine  
15 forecasting tools. And that NOAA could utilize  
16 and leverage --- so you can see there is a lot  
17 more development and work to do on this one and  
18 we're going to do our best to keep the ball  
19 rolling on that. I think that's the last slide.  
20 Yes.

21 So that's a quick look at what we've  
22 been doing in the working group. If you have any

1 questions or if you want to talk about it later  
2 today, whatever your pleasure.

3 MEMBER THOMAS: I guess I don't  
4 understand number two. But, I mean there is so  
5 much work being done in the forecasting realm  
6 right now.

7 Did they say they want to integrate  
8 all of the forecast products or --

9 VICE CHAIR SAADE: I think the desire  
10 was to take the data that is real-time now data  
11 and how do we start to build that into modeling.  
12 Now --

13 MEMBER THOMAS: Oh, so --

14 VICE CHAIR SAADE: -- if there are  
15 good examples of that, just like with the  
16 Fisheries Habitat Assessment --

17 MEMBER THOMAS: Right.

18 VICE CHAIR SAADE: -- if there are  
19 good examples that we can demonstrate back to  
20 them, the things that are already occurring, that  
21 would be the first step.

22 And obviously there's some types of

1 things that are going on with the Weather Service  
2 and all that. But I think it was, not Weather  
3 Service-related, it was more to do with the types  
4 of things that are trying to predict long-term  
5 conditions along the coastline.

6 MEMBER THOMAS: And as it particularly  
7 pertains to the Fisheries, right?

8 VICE CHAIR SAADE: Not necessarily  
9 Fisheries.

10 MEMBER THOMAS: Oh, okay.

11 VICE CHAIR SAADE: There was, in the  
12 meeting in New Hampshire, there was a great term  
13 that was coined that I thought had captured a lot  
14 of things and it was natural infrastructure.

15 And in particular, for instance, the  
16 types of things that go on when we do mapping and  
17 charting for Shep's group, where you're mapping  
18 reefs and rock outcrops and things like that.

19 MEMBER THOMAS: So characterization ---

20 VICE CHAIR SAADE: That type of  
21 infrastructure that's natural on its own and how  
22 that ties into the whole big picture of

1       infrastructure.

2                   MEMBER THOMAS:   Okay.   Thank you.

3                   VICE CHAIR SAADE:   Shep?

4                   RDML SMITH:   Yes.   I think there was  
5       one --- what I thought was quite an interesting  
6       but a little aspirational side of that  
7       prediction, which was prediction of sediment  
8       transport.

9                   Which is pretty immature compared to  
10       hydrodynamic modeling or atmospheric modeling.  
11       But we have important data that could support  
12       that type of modeling for coastal stability and  
13       that sort of thing.

14                  VICE CHAIR SAADE:   Yes, I agree.   And  
15       I think some of it is them asking the right  
16       questions that we don't necessarily ask.

17                  We might have a lot of the data that  
18       can support it, but it's not necessarily  
19       something that's at the forefront of the way we  
20       think, in this group.

21                  CHAIR MILLER:   Any further comments on  
22       the Technology Working Group?

1                   It sounds like you're making good  
2 progress. Okay, at this time, albeit a little  
3 late, I'd like to call up the Alaska Panel. I'm  
4 sorry, the Arctic Panel.

5                   Ed Page and Ashley Chappell will be  
6 leading this session, and I will turn it over to  
7 them.

8                   MEMBER PAGE: Testing, one, two.  
9 Anyway, I think we have a great panel up here now  
10 that I kind of coerced, to some degree, to come  
11 up and talk about Arctic issues.

12                   But all subject matter experts from  
13 different perspectives, they've been there, done  
14 that in different fields. And I think that  
15 they're going to offer different perspectives of  
16 the challenges that we have for maritime safety,  
17 environmental protection and efficient maritime  
18 operations and the role that NOAA can play in  
19 that, facilitate, ensuring that increased  
20 maritime operations out here go well.

21                   So, I'm first going to offer up Mike  
22 Emerson. He's a 1984 graduate of the academy,



1 which is important because he's an even year,  
2 that makes him a good guy.

3 But I think the interesting  
4 perspective from Mike is that he's both flown for  
5 several, sailed on several Coast Guard ships but  
6 also then became a pilot, a C-130 pilot. So he  
7 understands that navigation issues from the  
8 aviation community, that some areas are ahead of  
9 the maritime community, and also the maritime  
10 community.

11 But as head of Waterways Management  
12 Senior Executive Service after 30 years, now he's  
13 Senior Executive Service for the Coast Guard,  
14 head of Waterways Management for the United Coast  
15 Guard. Which to me is overwhelming when I think  
16 of all the issues that he has between buoys and  
17 aids in navigation, pilot navigation, goes on and  
18 on.

19 And to get him up in Alaska to talk  
20 about issues I'm really appreciative that he'd  
21 take this effort to do so. And he also is a  
22 great social beer drinker which is even more

1 important. He learned that in the academy too  
2 though so, we know how that works. Mike, please.

3 MR. EMERSON: Thanks, Ed. It's great  
4 to be here, Admiral, I appreciate you having us  
5 up. And thanks to my buddy, Ed Page, for  
6 inviting me personally. I've been trying to be  
7 like you for a long time.

8 Juneau is a great place for this  
9 meeting. It's a perfect waterway environment.  
10 It's the party hat of waterways.

11 I'm so impressed with the tour and the  
12 relationship with the Marine Exchange. And  
13 you're really taking market share from the Coast  
14 Guard and probably soon from Uber and other  
15 expansion opportunities, so good on you.

16 I'll say that it's very telling with  
17 a new Commandant that one of the first luncheon  
18 guests that he invited over was you, Admiral  
19 Gallaudet. I think it signals the great  
20 relationship that we have.

21 So I'm going to speak in broad brushes  
22 here today because we are already speaking with

1 one voice. We're aligned on a lot of different  
2 areas, and I'll just emphasize a couple very  
3 quickly.

4 But the fact is, you coming over early  
5 on in Admiral Schultz's career really has made an  
6 impact. We've got requests from NSF now and Army  
7 Corps and others, to get to that executive dining  
8 room.

9 So, two things happening with the new  
10 administration and with the new front office and  
11 the Coast Guard. There's been a renewed  
12 emphasis, or a new emphasis, on maritime  
13 commerce.

14 So we are seeing the maritime  
15 transportation system and the efficiency and  
16 effectiveness and profitability and all of those  
17 things, safety, come up in every discussion that  
18 we have.

19 And I will tell you that as the  
20 director of not only the waterways management but  
21 also of navigation and marine safety, I am also a  
22 member of that hair club.

1                   Next slide. To understand the  
2 waterways you have to be a user. And when you  
3 have a boat fire and it's efficiently put out by  
4 three response fire boats, the Metropolitan  
5 police and then the last blue light is, oh good,  
6 here comes the Coast Guard.

7                   And they ask who's the master and I  
8 got everyone off safely, and they say, good job  
9 skipper, what's your name and I hesitated and my  
10 daughter said, tell them who you are daddy. Oh,  
11 no, no, no.

12                   (Laughter.)

13                   MR. EMERSON: So titles are not  
14 important here today. Next slide.

15                   (Laughter.)

16                   MR. EMERSON: But, it's more about  
17 action. And one of the things that we do is put  
18 together an Arctic strategy every couple of  
19 years.

20                   We led the nation in looking at the  
21 Arctic and saying, we need a strategy, we need to  
22 have some accomplishment here. And we don't have

1 to have just icebreakers, this isn't a strategy  
2 to sell icebreakers and get Congress to go, oh,  
3 keep up with the Russians.

4 It was really about having Arctic-  
5 capable ships, airplanes, boats, people. To  
6 operate in the Arctic you have to train in the  
7 Arctic and it's not a game show, as you all well  
8 know, this is a home team. And you've got to  
9 prototype the right resources.

10 So we are doing that in our strategy  
11 with a design on presence. We have to establish  
12 presence, and I think NOAA likely too, will have  
13 to increase their presence. And we're going to  
14 have to speak with one voice about how we do  
15 that. More on that later.

16 Next slide. What's new to the  
17 strategy and the current rewrite that's on the  
18 Commandant's desk and ready for signature, I'll  
19 suggest, is not only that we want to continue to  
20 modernize governments and play nicely in the  
21 Arctic Council, the Arctic Coast Guard Forum and  
22 play with the other waterfront countries in the

1 Arctic, we want to certainly broaden our  
2 partnerships and work well with the interagency,  
3 the federal, state, local, tribal, with my good  
4 buddy Willie.

5 We also want to take a close look at  
6 security. There are threats to our sovereignty,  
7 there's new interests at the Department. The new  
8 S-1 now is looking at engaging all of the  
9 Homeland Security agencies.

10 An analysis and a strategy toward the  
11 trade activities, the Fisheries activities, the  
12 immigration challenges. Any of the emergent  
13 conditions you may have as waterways open and  
14 traffic increases and more tourism and more  
15 passports, et cetera.

16 So you're going to see more emphasis  
17 on security.

18 And I will tell you that there are  
19 legitimate concerns with freedom of navigation  
20 activities. The Chinese are operating throughout  
21 the Arctic. The Northern Sea Route, the  
22 Northwest Passage inclusive. And then even the

1 Polar Route.

2 We've got a lot of research vessels  
3 and we've got a lot of area that the Coast Guard  
4 has got a responsibility to be able to respond  
5 to, to monitor, manage, and certainly respond to  
6 law enforcement or search and rescue.

7 Next slide. So at present, today,  
8 tomorrow and the day after, we'll continue to do  
9 a mobile and seasonal presence.

10 And we are -- you got a brief probably  
11 from Admiral Bell. I didn't see Tuesday but I  
12 know he must have commented on how he deploys a  
13 thousand people every year to Arctic Shield  
14 operations up on the North Slope. We operate out  
15 of your hometown, Kotzebue, Willie, and we fly  
16 aircraft up and down the coast, we have liaisons  
17 talking to remote communities. And we continue  
18 to work with our interagency partners, NOAA as  
19 well, gathering information.

20 We need data is a common theme that we  
21 hear. We help you collect it with the Healy and  
22 with putting science teams on.

1                   Again, with that great relationship,  
2                   just a couple of years ago when I took over the  
3                   reputation of the Healy front four of the command  
4                   on the Healy, was not so flattering. The  
5                   scientists felt like they were second class  
6                   citizens and like they were civilians at  
7                   headquarters.

8                   And we've, I think, changed that.  
9                   They just finished the first semester of the  
10                  summer with the scientists, and I got  
11                  unbelievable accolades from some of your  
12                  leadership that said that everyone was treated so  
13                  well.

14                  Great relationships, people taking  
15                  initiative, working well together, and so this is  
16                  a good time to play nice, I like it.

17                  Next slide please. The strategy for  
18                  the Arctic certainly includes the icebreaker.  
19                  And we've made no secret that it will have  
20                  sensors, it will have weapons, it will be able to  
21                  gather information.

22                  It's a transport vessel, but it's also



1 going to continue to be an asset that's useable  
2 for the interagency science and academic  
3 communities. It does have the cranes and the  
4 deck space and the modularity to be able to take  
5 on different science equipment and deploy those  
6 and work with unmanned surface and undersea and  
7 air assets and do a lot of different R&D efforts.

8 And it's going to have weapons. And  
9 we can talk more about that if you like, but  
10 building six of them.

11 Congressman Garamendi and others  
12 continue to signal that we're going to pay for  
13 these, we're going to get them, so we're feeling  
14 fairly confident that as we build out the other  
15 ships that you've heard about, we're going to  
16 build the nation's primary ice-capable surface  
17 fleet that gives you the visible presence. And  
18 it goes back to having waterways and being in  
19 those waterways, being visible.

20 Next slide please. There's a cerebral  
21 aspect to the Coast Guard, the prevention side  
22 that Ed's mentioned a number of times. And this

1 is the part, the world that I work in.

2 We recently conducted an important  
3 analysis --- we didn't recently, this is a ten-  
4 year-old effort. Some of you have been around  
5 this for a long time.

6 And this was a project that we engaged  
7 initially with all the remote communities and  
8 agencies and government officials in Alaska, and  
9 then we extend it over to discussions with our  
10 neighbors to the west and put together some  
11 recommended track lines.

12 Voluntary routing system. And then we  
13 acknowledged and dignified at IMO some areas to  
14 be avoided. And so far we have just one remaining  
15 area near the center of the boundary line that we  
16 need to get approved. That's on the slate for  
17 this coming session at IMO that starts in  
18 October.

19 But, there are many different  
20 information areas that you could put under the  
21 word planning. Looking at the Bering Sea in this  
22 ten year study effort really gave us a sense of

1 what the traffic is, what the infrastructure  
2 requirements are, the Aids to Navigation, what  
3 opportunities there are for leveraging new  
4 technology for continuing the science effort and  
5 getting that good PORTS information formalized.

6 And then taking that effort, the next  
7 step is taking that to the North Slope, and as  
8 the Northwest Passage emerges, we'll already have  
9 the planning in place.

10 Next slide. So my wrap-up here is  
11 that there are a lot of places we could  
12 collaborate. I hit them in broad strokes, I know  
13 that, but we need a joint voice on how we  
14 establish ourselves, maintain a presence, or  
15 sometimes establish one.

16 But speak with one voice on planning.  
17 How we use the U.S. areas, the offshore areas  
18 that are source, potential sources for resource  
19 development. So, how we lease those.

20 We're going to have to do some  
21 planning there and interagency coordination.  
22 Look at the R&D opportunities, and we've talked

1 about some of those unmanned capabilities and  
2 what have you.

3 Increased awareness is a good cue for  
4 mentioning electronic charts, moving maps. All  
5 of the bridge management systems now are way  
6 smarter than the car I drive and some of the --  
7 even my ten-year-old computer.

8 These new systems are all dependent on  
9 good information. And everything that we've  
10 approved policy-wise and electronic charts, we've  
11 said they have to use NOAA data.

12 So, you all have to help with us in  
13 making sure that those products to the public are  
14 good and that they contribute to marine safety.  
15 Certainly, we've talked about PORTS over AIS and  
16 other electronic MSI, Marine Safety Information  
17 technologies.

18 And finally, infrastructure. My  
19 comment here is, one, it's a little bit edgy but  
20 the State of Alaska and others have asked us, do  
21 you need a deepwater port, and of course we can't  
22 say that because then we'd be asked to pay for

1 it. Probably NOAA has the same challenge, and  
2 even DoD has the same challenge.

3 But if we all indicate very strongly  
4 that the State of Alaska needs a deepwater port  
5 and the State of Alaska needs nav aids and  
6 communication towers and lower earth orbit  
7 satellites, et cetera, then we'll start to get  
8 some momentum. I think that's what the Congress  
9 is waiting to hear and hopefully waiting to fund.

10 My sense is that, Admiral, there is a  
11 good relationship with the Coast Guard, I hope it  
12 continues, and I'm certainly on board for helping  
13 to align us on any of the projects that this  
14 review puts up. Thank you.

15 (Applause)

16 MEMBER PAGE: Is it working? Yes,  
17 okay. Thanks, Mike. Willie Goodwin is a good  
18 friend, Alaskan Native.

19 This is his backyard, the Arctic is  
20 his backyard. He's well respected, he's one of  
21 the Native elders up there in that region of our  
22 Arctic.

1                   He's fished and whaled and lived up  
2 there, but also has some time in the lower 48, or  
3 in this area at Sitka, he went to high school at  
4 Sitka, Mount Edgecumbe. But he's really from the  
5 Arctic.

6                   And his demeanor, his ability to work  
7 with others and his leadership have lead him to  
8 be the Chairman of the Arctic Waterway Safety  
9 Committee, which brings in all kinds of  
10 representatives from the maritime industry and  
11 the people who live up in the Arctic, and  
12 agencies to kind of collaborate and come up with  
13 standards of care and good marine practice and  
14 come up with products that enhance maritime  
15 safety, environmental protection so that his  
16 neighborhood is not negatively impacted in the  
17 future by increased maritime activity.

18                   So, he came all the way from Kotzebue  
19 here and I'm really grateful you made this trip  
20 and always good to see you and hear your  
21 perspective. So Willie, if you would, please  
22 tell us your perspective on this. Thank you.

1 MR. GOODWIN: Thank you, Ed. And I'm  
2 very happy to be here. Good morning, my name is  
3 Ergogat (phonetic), my Inupiaq name. My nickname  
4 is Willie Goodwin.

5 Two hundred generations I believe, at  
6 least in my area, have inhabited the Cape  
7 Krusenstern National Monument. And that's what  
8 the Park Service did a paper on, 200 generations  
9 of human habitation in the monument.

10 But I believe it goes further than  
11 that because we were once called mammoth hunters  
12 and now we're caribou hunters. And the stories  
13 I've heard go much further than 200 generations.

14 I am part of the Kikiktagruk Inupiaq  
15 or Kotzebue area from the Malamute Inupiaq people  
16 of Alaska. My region, the area I'm from, is the  
17 size of Indiana with about 6,800 people living  
18 within that area, which includes the coastal  
19 areas and the rivers that come in.

20 I am Chairman of the Arctic Marine  
21 Mammal Commission and the Arctic Waterways Safety  
22 Committee. I'm here to tell you a little bit

1 about how we deal with protecting the Arctic  
2 waters that are so vital to the survival of the  
3 Inupiaq and Yup'ik people.

4           You know the rest of the world has  
5 just found out that the Arctic is changing. For  
6 those of us who live there, change is pretty much  
7 all we've ever known. We have adapted to many  
8 changes we have faced for thousands of years.

9           First came items like iron, tobacco,  
10 outboards, new hunting practices due to climate  
11 change. We have used these changes to our  
12 advantage and would like the opportunity to  
13 participate in today's changes because we have no  
14 choice but to adapt. And we are very good at it.

15           No matter how it changes, the Arctic  
16 is harsh, so we watch out for each other and  
17 share what we have and what we know.

18           Next slide please. The first step to  
19 developing safe practices for Arctic waters is  
20 becoming familiar with those who are on the water  
21 and why they are there. Local communities are  
22 increasingly having to share the water with



1 developers and researchers.

2 Next slide. For those of us who live  
3 there, we are part of the natural world. We  
4 follow its seasons.

5 The animals provide our nutritional  
6 health, we know our ecosystem and we know our  
7 fellow creatures like we know each other. Our  
8 social systems are built around the ecosystem in  
9 which we live.

10 This is part of our heritage as a  
11 subsistence hunting culture. We depend on the  
12 Arctic ecosystem for our food security, for life  
13 itself. And because it is always changing season  
14 to season and year to year, we survive by  
15 adapting to those changes.

16 Our local residents need subsistence  
17 resources to remain available for hunting. This  
18 is why we are talking about, when you hear us say  
19 that we are concerned about our food security.

20 Protecting the availability of our  
21 resources and our food security is written into  
22 federal law in Section 101(a)(5)(a) and (d) of

1 the Marine Mammal Protection Act.

2 But working to protect our food  
3 security doesn't mean that we oppose development.  
4 Development can bring jobs to our communities and  
5 these opportunities are important to us.

6 We are happy to share our region with  
7 development interests and scientists conducting  
8 research when they are willing to work with us on  
9 resolutions to conflicts that bring shared  
10 opportunity and success rather than win-lose  
11 outcomes.

12 Next slide please. With recent  
13 increases in Arctic vessel traffic, the Arctic  
14 Marine Mammal hunter groups came together in 2012  
15 at the request of the U.S. Coast Guard to form  
16 the Arctic Marine Mammal Coalition, or AMMC.

17 The Coalition is comprised of the five  
18 Arctic Marine Mammal Hunter Co-Management Groups,  
19 the Alaska Eskimo Whaling Commission, the Eskimo  
20 Walrus Commission, the Nanook Commission, the Ice  
21 Seal Committee and the Alaska Beluga Whale  
22 Committee.

1 True to its mission, the AMMC has been  
2 successful in providing communication and  
3 education between Arctic coastal communities and  
4 the U.S. Coast Guard, NOAA, and other regulatory  
5 agencies on issues related to the expected  
6 impacts of increased ship traffic in the Arctic,  
7 on our way of life and subsistence activities.

8 A large accomplishment of the AMMC has  
9 been to bring together the Marine Mammal Groups  
10 with municipal government, the Alaska marine  
11 pilots, vessel operators, the tourism industry,  
12 researchers, and oil and gas to form the Arctic  
13 Waterways Safety Committee.

14 Other areas of the U.S., coastal U.S.,  
15 have similar stakeholder groups usually called  
16 harbor safety committees. The purpose here is to  
17 create a stakeholder process where those using  
18 the waterways can reach consensus on safe  
19 practices for local marine areas.

20 The Arctic Waterway Safety Committee  
21 is composed of a wide array of Arctic maritime  
22 users and stakeholders that fall under three

1 categories: subsistence hunters, industry, and  
2 other representatives. Each category has five  
3 seats and each with a vote on decisions made by  
4 the organization.

5 Next slide. The area of interest for  
6 the Arctic Waterway Safety Committee extends from  
7 the St. Lawrence Island, north along the Arctic  
8 coast of Alaska to the Canadian border.

9 We were formally incorporated in  
10 October 2014 and meet two times per year. We  
11 have developed a standard of operating care for  
12 research vessels and are in the final stages of  
13 completing the waterway safety plan.

14 The U.S. Coast Guard has acknowledged  
15 that the Arctic Waterway Safety Committee is a  
16 key player in waterway safety and will be able to  
17 look to these safe practices as they develop  
18 measures for managing the increases in Arctic  
19 vessel traffic.

20 Next slide. The marine mammal hunter  
21 groups, especially the Alaska Eskimo Whaling  
22 Commission, work with NOAA to provide information

1 on sensitive areas for publication in the Coast  
2 Pilot.

3 An example of that is the timing of  
4 the hunts and contact information should vessels  
5 be in the area during that time. We also provide  
6 VHF channels and provide buffer areas for  
7 communities.

8 Funding and capacity have been an  
9 issue in providing the Coast Pilot with updated  
10 information. I think you will see the hunter  
11 groups providing more detailed information in the  
12 future as we complete our safety plan.

13 The next slide. For us hunters, real-  
14 time ship-to-shore communications is vital to our  
15 safety and the protection of our resources.  
16 There are areas that need to be respected for our  
17 subsistence activities, not only during our  
18 hunts, but during the migration of our marine  
19 mammals.

20 Right now, information is difficult to  
21 access. It relies on vessel operators' knowledge  
22 and adherence to the Coast Pilot. If operators

1 could communicate in real-time with our  
2 communities, it would be very helpful to us.

3 The next slide. As I said before, the  
4 Arctic, in our communities, rely on the resources  
5 from the sea for our survival.

6 For us, it isn't just economic gain or  
7 results from research that are at stake. We have  
8 seen a dramatic increase in marine traffic and  
9 impact to our communities is significant.

10 We must continue to work to plan  
11 solutions that avoid environmental mistakes. The  
12 knowledge and experience and the culture of  
13 sharing and adapting found in our local  
14 communities is a very large part of that.

15 The Alaskan Native subsistence hunters  
16 must be included as part of that solution, and  
17 done in ways that are possible with the limited  
18 resources for those communities.

19 I would also like to personally give  
20 a big thank you to retired Commander James Houck,  
21 who led us through this process as we tried to  
22 figure out what we need to do when we started to

1 see large ships. Thank you.

2 (Applause.)

3 MEMBER PAGE: Thanks again, Willie.

4 Next is Paul Fuhs. I could talk about an hour  
5 about Paul Fuhs, but I better not.

6 But we do go back 35 years, back when,  
7 a little bit more destructive relationship, when  
8 I was involved with Marine Safety and the  
9 Aleutians and Paul was mayor of Dutch Harbor.  
10 But on a side business, he was building the  
11 community, but destroying ships for us. So he  
12 took his skills as an underwater diver and  
13 explosives expert and blew some ships that were  
14 problematic environmental hazards in the Aleutian  
15 Islands.

16 So we had some pretty colorful times  
17 back then. And, over the years, we've had more  
18 mellow types of relationships, traveling to the  
19 Galapagos Islands, I've been in Norway and  
20 Iceland and in Alaska. But he's also, was very  
21 instrumental and is our president of the board  
22 for the Marine Exchange of Alaska, and he was

1 there, when we sat down, in a bar, and drew up  
2 the plans of starting the Marine Exchange.

3 So he's been key as far as what we've  
4 developed over the years, been a great friend,  
5 but also a mentor and a great leader. But he's  
6 involved in so many aspects of Alaska. He was  
7 commissioner of the Department of Commerce years  
8 ago.

9 And so he understands the blue  
10 economy, if you will. He also understands the  
11 importance in protecting our environment, having  
12 been involved in many marine casualties,  
13 including Exxon Valdez spill. So, Paul, please  
14 do.

15 MR. FUHS: Thank you. I think I'll go  
16 ahead and stand, if you don't mind? So, I want  
17 to just say how proud we all are to have you all  
18 here and to hear the important work that you're  
19 doing. And some of the things I want to talk  
20 about today is how we might take some of your  
21 work and make it operational for the vessels. I  
22 think that's really important that we have that



1 transmission capability.

2 I do want to point out that the Marine  
3 Exchange, it was not because of some government  
4 regulation, or some reluctant or resistant  
5 industry. Industry took the lead in putting this  
6 together, because of our shared commitment to  
7 safe, efficient, and environmentally responsible  
8 operations. So, our board represents the entire  
9 industry.

10 So I've been speaking a lot about  
11 these Arctic issues, even to our school kids, and  
12 to try to bring awareness to them. And one thing  
13 that struck me, as I did, was the importance of  
14 maps. And I know maps are really important to  
15 you. It's one of the most important  
16 communication methods that you have. And, just  
17 an example of how powerful maps are to our  
18 consciousness and understanding of the world,  
19 here's a map of the world.

20 And, even for sixth grade kids, this  
21 is really disorienting for them, and for us. And  
22 of course, there's no up or down in the world,

1 it's round and we're floating in space, but our  
2 concepts of maps are more like this.

3 And this is what we grew up with.

4 Well, that makes us feel a little more  
5 comfortable, but it's still a distorted picture  
6 of the world, because this is what we call the  
7 Mercator mentality that we all grew up with. At  
8 least this map doesn't have Alaska in a little  
9 corner, down on the edge.

10 (Laughter.)

11 MR. FUHS: But, you know, it's really,  
12 you know, this is the view of the world that we  
13 want to show. And this really shows the  
14 connectedness of the Arctic. And, in economic  
15 terms, it's really important, because 80% of the  
16 industrial production of the world takes place in  
17 the northern hemisphere. Yet, currently, we're  
18 stuck with two inefficient and problematic routes  
19 for transporting our goods for trade.

20 So, what's been looked at a lot more  
21 is a northern sea route, Arctic operations.  
22 We're seeing increased traffic. What we're going

1 to see here is -- and this is for container  
2 operations, which is the next breakthrough for a  
3 real world trade route.

4 To have a world trade route, you  
5 really have to have container operations. And  
6 this is using Adak as a hub, connecting northern  
7 sea route traffic to the Great Circle Route  
8 traffic, which would probably be the most  
9 efficient way to do it.

10 This is a lot of the traffic that's  
11 happening right now. This is Russian LNG  
12 production coming across. There's going to be 13  
13 vessels doing this. You see the savings of about  
14 20 days.

15 And, you know, one of the other  
16 options that this represents is that, if we can  
17 put fueling stations, we can actually replace  
18 some of the more polluting fuels in the Arctic  
19 with LNG, if we can use these ships to create  
20 fueling stations. Athis is another thing the IMO  
21 is looking at right now is heavy fuel oils.

22 So, you know, a lot of this is

1 facilitated by the use of icebreakers. And one  
2 concept we're working with it "Uber for  
3 icebreakers." There aren't that many of them, so  
4 what we're looking at is, you know, those that  
5 are available should be available to be used,  
6 especially in an emergency situation.

7 Now, this looks like a pretty big  
8 vessel. This is about 25-megawatt nuclear  
9 icebreaker. But the next iteration, the two that  
10 are just coming off the ways into service are 65-  
11 megawatt icebreakers and there's a 110-megawatt  
12 that the keel has been laid and it's going to be  
13 coming.

14 So, the shippers on the northern sea  
15 route for containers operations tell us that we  
16 need to be able to guarantee at least six months  
17 a year operations before they'll change their  
18 distribution patterns. So, because of this,  
19 prevention is absolutely critical.

20 And, why? Oil spill response is  
21 limited, infrastructure is limited, you know,  
22 marine mammals, the index species live at the

1 surface of the water, they'll be most heavily  
2 impacted by a spill. And, as Willie Goodwin  
3 pointed out, that's what they're depending on for  
4 their food. And the financial and environmental  
5 costs would be just catastrophic.

6 So, one of the things that -- and I  
7 don't know how many people here work in oil spill  
8 response, but if you were to guess, in good  
9 conditions down south, what would be considered  
10 to be a very successful cleanup operation of oil?  
11 What percentage of the oil would you think would  
12 be considered very successful? And the amount is  
13 five percent is considered a very successful oil  
14 spill operation.

15 Well, that's just not acceptable in  
16 the Arctic. So, back in the days when I worked  
17 with Ed, how did we do pollution prevention?  
18 Well, this was when I worked as a diver. Well, I  
19 was a little bit younger there. Look at that,  
20 I'm even smoking. Holy cow.

21 (Laughter.)

22 MR. FUHS: But, you know, what we do,

1       because of lack of oil spill response and because  
2       a vessel would wreck on the beach, had fuel  
3       onboard, and it was risking another vessel to try  
4       to come in and save it. Then I'd come in and,  
5       you know, load up all the tanks with explosives  
6       and incendiaries, and this is 160,000 gallons of  
7       diesel going off at one time.

8                       And it was so effective, there wasn't  
9       even a sheen on the water afterwards. So I think  
10      we did, like, eleven ships like this. But they  
11      don't let you do that anymore.

12                      (Laughter.)

13                      MR. FUHS: So, you know, that's why,  
14      you know, these other measures are so important,  
15      our safety measures. Now, these are the  
16      prevention measures that we currently have in  
17      place. You saw a lot of these at the Marine  
18      Exchange.

19                      Vessel tracking, monitoring, early  
20      detection of problems, routing measures, vessel  
21      of opportunity, who's the next nearest vessel  
22      that can help? These are important.

1           Improved hydrologic-meteorological  
2           data, transmission of this data to the vessels,  
3           and some international agreements for prevention  
4           measures. Because there's about eight nations in  
5           the Arctic involved in this Arctic shipping, and  
6           we need to have more harmonized regulations and  
7           agreements on this.

8           Mariners like it. It's easier to get  
9           compliance if people know they have the same  
10          regulations and expectations wherever they go,  
11          rather than going one mile further and now I'm a  
12          completely different regime. So, that's  
13          important.

14          And NOAA can play a very important  
15          part in this, because you play a very critical  
16          role in the Arctic Council Committee on  
17          Protecting the Marine Environment, and, right  
18          now, they're involved in a best practices process  
19          to identify best practices. And one of your  
20          mates, Peter Oppenheimer, is the co-chair of that  
21          committee, so we're hoping that we can get  
22          support for putting these U.S. measures forward

1 as best practices.

2 They have been adopted as alternative  
3 planning criteria by the U.S. Coast Guard, so  
4 we're hoping today to seek your agreement to help  
5 put these measures forward.

6 Well, we've talked about dynamic  
7 resource protection here. Well, this is when  
8 Shell was operating, and we came in and this was  
9 a conflict avoidance agreement with the marine  
10 mammal hunters. And we can digital fence any  
11 area, and that's what we did in this area here.  
12 I'm sorry you can't see the pointer. But this  
13 was the area where they agreed to not go into,  
14 and, you know, we assured that they didn't go  
15 into it.

16 For part of this, because of marine  
17 mammals, people have said, well, let's make  
18 marine-protected areas, but these animals move  
19 around. So you need to be able to really say,  
20 "now they're here, now they're there, here's  
21 where the hunting is."

22 Willie's been documenting the changes



1 that have been happening up there. So we really  
2 need a dynamic process to do this, and that's one  
3 of the capabilities at the Marine Exchange.

4 The other thing we're doing is  
5 protecting all the fiber optic cables. So we  
6 digital fence these. If they ever get a break in  
7 the fiber optic cable, they come to us and say,  
8 where's the intersect with the vessel?

9 We've had a couple of them, one was a  
10 Coast Guard vessel on Puget Sound, one a  
11 commercial vessel in Cook Inlet drug anchor and  
12 separated the line. But we tell them exactly at  
13 that moment where it was, so they can go find and  
14 repair it. They don't have to pull out thousands  
15 of miles of fiber optic cable to find it. So, I  
16 know this is the backbone a lot of your systems  
17 that you use to transmit your data, as well.

18 These are some of the international  
19 organizations that we've been working with. The  
20 Polar Code has been adopted. There's a section  
21 in the Polar Code on operations manual and  
22 navigation. So we're hoping, if these best

1 practices can be identified, those could be  
2 included in the voyage planning for voyages in  
3 the Arctic.

4 These are some of the weather stations  
5 that we've put in. And I want to give a big  
6 thanks to AOS that's provided a lot of the  
7 funding for these weather stations. And, you  
8 know, as we heard, we've been doing this and  
9 effectively sending the data and other data out  
10 to the vessels under a research agreement.

11 We need to take the next step where we  
12 have the permissions to be able to do this on a  
13 permanent basis. And I understand that there are  
14 some other parts of the United States that really  
15 aren't interested in it, but hopefully we can  
16 come to an agreement that the areas that do want  
17 to do it, can. If the rest don't want to, they  
18 don't have to, but at least we'd have the  
19 permission to be able to take some of the data  
20 that you folks generate and make it real for the  
21 vessels: ice data, hazards to navigation, marine  
22 mammals, weather data, all of that.

1                   Again, you heard about virtual buoys.  
2                   In ice, you can't put a physical buoy, so we're  
3                   able to digitally generate buoys that they can  
4                   see on their AIS Guidance Systems. We're able to  
5                   provide for the hunters out in the Arctic, for  
6                   vessels can see them and they can see the other  
7                   vessels.

8                   This is a speed zone at Glacier Bay,  
9                   and where whales concentrate and they used to  
10                  send out there with a Zodiac and a radar gun, but  
11                  now we do it like this. If somebody violates the  
12                  speed limit, a report automatically goes to the  
13                  vessel owner and to the National Park Service.  
14                  The vessel owner, if it's a captain that's not  
15                  following the rules, it's going to get on him.  
16                  For the Park Service, if you violate it enough,  
17                  you're going to lose your right to go into  
18                  Glacier Bay. So we call this the truth serum.

19                  And these are the routing measures  
20                  that were adopted by IMO, but, as is pointed out,  
21                  they are voluntary and we do think that they  
22                  should also be -- have their regular tracking and

1 monitoring activities that we have.

2 And, you know, what we do is, you  
3 know, we can, as a regulatory body, tell  
4 somebody, hey, we're in the wrong area, but when  
5 we tell them, they voluntarily move. It's kind  
6 of like, you know, an airplane coming into the  
7 airport. You've never heard a pilot complain  
8 about somebody saying, hey, you're on the wrong  
9 runway or you're about to run into somebody.

10 So, we never get, you know, kicked  
11 back, and often they just say, hey, thanks, it's  
12 nice to know someone's watching our back out here  
13 in the middle of nowhere.

14 So, these are some of the barriers and  
15 solutions. We do need these permissions for data  
16 transmissions. We need to verify marine mammal  
17 data so that we can do the digital fencing. We  
18 need to install some more transmission equipment.

19 Now, this AIS software and hardware,  
20 IMO puts out a protocol of what your AIS system  
21 has to be able to transmit and receive. And, to  
22 this point, they have not made that protocol to

1 be able to receive it. So, some manufacturers  
2 do, some manufacturers don't.

3 So, a recommendation to IMO to upgrade  
4 the requirements for software to be able to  
5 receive meteorological and other safety data is  
6 important. And then these international  
7 agreements for implementation in the Arctic.

8 And I guess that's it. So thanks,  
9 again, for coming. I look forward to working  
10 together with you.

11 (Applause.)

12 MEMBER PAGE: Thanks, Paul. The next  
13 speaker is Jay Sterne. Jay and I first met on a  
14 plane flying back from Barrow, which is now  
15 called Utqiagvik. But he was working for Senator  
16 Murkowski, at the time, and Fisheries.

17 And he's got a lot of experience and  
18 knowledge in Arctic issues and works with the  
19 Port of Nome and other Arctic communities and I  
20 always enjoy sitting down with him. I always  
21 coming out a little smarter after talking to Jay  
22 about all these issues. But he likes to make

1 things happen and it's good to have his profound  
2 knowledge shared with us on some of these issues  
3 that we see coming down the pike. So, Jay, if  
4 you would, please?

5 MR. STERNE: Thank you, Ed. I think  
6 the first thing I'll say is, I'm president of  
7 Windward Strategies, which is a one-person  
8 company based here in Juneau. Our second  
9 employee, I think, will be called Zoe, Jr., based  
10 on what I've heard.

11 (Laughter.)

12 MR. STERNE: But thank you, Ashley,  
13 Lynn, Madam Chairwoman, Admiral Gallaudet,  
14 Admiral Smith, the HSRP Panel, thank you for  
15 coming to what is now my hometown of Juneau.

16 Prior to moving to Juneau last year --  
17 so I am very much a newcomer compared to you and  
18 Molly -- I lived for 25 years in D.C., as an  
19 attorney, lobbyist, Hill staffer. But I thought  
20 I'd go a little bit further back to explain a  
21 little bit why I've always gravitated toward  
22 marine environmental issues.

1           Before going to law school, I was the  
2 varsity sailing coach at New York Maritime  
3 College, and I spent about 300 days out of the  
4 year on the water, largely on the East River,  
5 sometimes over by Kings Point where, I think, Ann  
6 and I used to compete against each other back in  
7 the college days.

8           And I would get these tar balls washed  
9 up onto my docks, up on the small 420s. And I  
10 was a punk kid at the time, and I would get into  
11 this beat-up Boston Whaler and I would go over to  
12 the Coast Guard Fort Totten Station. And I had  
13 the audacity to yell at Coast Guard officers  
14 about how terrible it was that these big tar  
15 balls were just getting discharged into, you  
16 know, the East River and washing up on the deck.

17           I was told that it was really  
18 difficult to address this, from the Coast Guard's  
19 perspective. They didn't have the regulatory  
20 authority, they didn't have the physical  
21 capability to go after a lot of the materials  
22 being just pumped out at night while the coastal

1 fuel barges are going through.

2 In a small way, that lead me to go to  
3 law school and I wanted to get involved in marine  
4 environmental issues. So, here I am, a few years  
5 later.

6 One of the things that I was asked to  
7 talk about is infrastructure, maritime  
8 infrastructure in Arctic, and why do we need it?  
9 And, when I first got out of law school, I worked  
10 on international marine and environmental policy  
11 issues in D.C., and I found it very interesting  
12 the different legal regimes that applied to the  
13 Antarctic and the Arctic.

14 And it was really, really very simple.  
15 People live in the Arctic. And, as Willie said,  
16 they have lived there for a very, very long time.  
17 And in order for people to live and thrive in the  
18 Arctic, in the U.S. Arctic in particular, you  
19 need to have infrastructure to support them.

20 So, as you have spent a little bit of  
21 time in Juneau, if this is your first time in  
22 Alaska, or if this is one of many trips, you know



1 that logistics and getting things done in Alaska  
2 are extremely challenging. And I think what the  
3 Marine Exchange has been able to achieve in its  
4 short life span is a real testament to the  
5 creativity and the work ethic to respond to those  
6 challenges.

7 So, maritime infrastructure in the  
8 U.S. Arctic needs to support the peoples and the  
9 communities. They've got to address the  
10 increasing maritime traffic. And I'm not going  
11 to be repetitive with a lot of the information  
12 that's already been shared in the last couple of  
13 days.

14 I also want to highlight the fact that  
15 there is growing strategic interest. As Mike  
16 said, you know, there are a lot of countries that  
17 are starting to pay attention to the Arctic, and  
18 the U.S. has a very strong invested interest in  
19 being a stabilizing force. There's also  
20 significant natural resource potential, both on-  
21 and offshore. And then, as we've heard quite a  
22 bit from this panel, there are unique challenges

1 in responding to a maritime incident and, and,  
2 particularly, an, and oil spill.

3 So, one of the things that I was  
4 exposed to, again, right out of law school, was  
5 the 1992 Rio Earth Summit. And the term  
6 "sustainable development" is a little bit, I  
7 think, sometimes forgotten, but also a little bit  
8 misused. But the very first principle really  
9 underscores that sustainable development means  
10 allowing people and communities to thrive in a  
11 natural environment.

12 And I think that's one of the most  
13 significant challenges in the Arctic. It's  
14 relatively pristine, the logistics are  
15 challenging, and people have a vested interest in  
16 cultural history, but particularly with  
17 subsistence fishing and hunting. If you don't  
18 have a pristine marine environment, you don't  
19 have marine mammals. And if you don't have  
20 marine mammals, you don't have food security.

21 I can't say it anywhere nearly as  
22 eloquently as Willie does, but I can't underscore

1 enough how this impacts logistics,  
2 infrastructure, planning, U.S. federal policy,  
3 international policy.

4           So, I've touched on some of the core  
5 issues to address, hunting and fishing on a  
6 subsistence level. Commercial fishing in the  
7 U.S. Arctic is becoming an increasing topic of  
8 discussion. As the marine environment changes,  
9 it gets a little bit warmer, NOAA is doing quite  
10 a bit of survey work, further north in the Bering  
11 Sea and up in the Bering Straits region. And  
12 that may lead to increased commercial fishing  
13 activities for some of the main commercial  
14 species that are caught in the Bering Sea: cod,  
15 pollock.

16           And if that starts happening in  
17 significant volumes, then you start looking at,  
18 do you bring the product to shore, is it going to  
19 be processed in shore-based processing  
20 facilities, as it is in Dutch Harbor? Or, if  
21 it's going to be catcher-processors, who are  
22 then, you know, operating offshore and then

1 bringing frozen product that has to get  
2 transshipped out of the region.

3 We talked a lot about the regional  
4 marine transportation. One of things that I want  
5 to highlight is, for remote communities that are  
6 not connected to the road system -- and if you're  
7 not familiar with that term, talk with anybody  
8 who lives off the road system in Alaska.

9 That means a lot of your goods,  
10 household goods, you might have a dishwasher  
11 delivered by Amazon Prime by a barge. You know,  
12 you may buy a car on CarMax, but you don't have a  
13 CarMax in your village, so that's going to be  
14 delivered by barge. Building materials, gravel,  
15 all of that, and particularly, diesel fuel. You  
16 know, the hope in the future is that more  
17 renewable resources and LNG may be available for  
18 these communities, but right now diesel is the  
19 life blood in the winter.

20 Onshore resource development. You've  
21 heard a little bit about the red dog mine.  
22 You've got to get that product out, so you need a

1 port. You need a port with very good charts so  
2 that vessels coming in and out of there, very  
3 large vessels, don't run aground.

4 Offshore resource development. I'm  
5 not going to go too much into offshore oil and  
6 gas exploration in Alaska. That could be its own  
7 two- to three-day seminar here. But I will  
8 highlight that when Shell was active in the  
9 Chukchi Sea the vessel traffic was very, very  
10 robust, and it lead to crowding of harbors, it  
11 lead to the Fennica incident.

12 I thought that was a very good  
13 characterization, early on this week, about how  
14 the vessel traffic dynamics in Dutch Harbor  
15 changed, because it hadn't been that crowded. A  
16 lot of the traditional anchorage areas, you know,  
17 were at capacity and a vessel straight out of,  
18 you know, what they thought was a safe lane.  
19 And, you know, that had a significant impact.

20 The other thing that I'll mention,  
21 because this is a NOAA meeting, when Shell really  
22 ramped up, so did NOAA. And one of the areas

1 that they were really trying to get ahead of the  
2 curve was, if there were an incident, if there  
3 were some kind of an oil spill up into Chukchi,  
4 how would you respond to an unusual, or large,  
5 marine mammal mortality event?

6 And this speaks right to the coastal  
7 infrastructure. I did some briefings with the  
8 Office of Protected Resources, and one of the  
9 challenges that they identified very quickly  
10 going into some of the coastal villages is, how  
11 do you get power down to the beach? How do you  
12 get volunteers up to the impacted site? How do  
13 you cage a polar bear and de-oil it?

14 There are a lot of challenges that you  
15 don't face in the Gulf of Mexico where it may be,  
16 you know, relatively simple to get vessels,  
17 people, and equipment onsite to address these  
18 problems.

19 National and homeland security  
20 missions. Very recently, Commandant Schultz and  
21 Secretary of the Navy Spencer did a tour up in  
22 northwest Alaska. They stopped in Nome, and

1 really highlighted the growing, not just  
2 interest, but prioritization for both agencies to  
3 have a physical presence.

4 We've talked a lot about icebreakers,  
5 but I'll take a quote from Secretary Spencer, who  
6 acknowledged that since the 1960s, the U.S. Navy  
7 has had a physical presence in the U.S. Arctic,  
8 and in the international Arctic, as well, but  
9 that's been submarine presence. And what he said  
10 is needed now, with the Chinese and the Russians  
11 and many other countries operating there with  
12 their icebreakers, is what the U.S. needs is big  
13 gray ships with even bigger American flags.

14 And, you know, with NOAA's increased  
15 operations, with the Coast Guard increasing their  
16 operations up there, what you need is some  
17 shore-based infrastructure.

18 We talked about protection of the  
19 marine environment. And the other thing I'll  
20 mention, in that context, is that if Shell, or  
21 any other company, never comes back to the  
22 Chukchi or the Beaufort, oil and gas exploration

1 is going to continue to proceed on the Russian  
2 side of the boundary, and there are no fences.  
3 There may be electronic fences to keep vessels  
4 away from marine mammals, but we haven't come up  
5 with an electronic fence that's going to keep an  
6 oil spill that occurs in Russian waters away from  
7 Alaskan waters. And that's a big problem.

8           And when I worked for Senator  
9 Murkowski it was one of my biggest frustrations  
10 about certain stakeholders, outside of Alaska,  
11 really pushing back against the development of  
12 shore-based and response infrastructure. You  
13 know, their assertion was, it's not a good idea  
14 to do oil and gas exploration in the U.S. Arctic.  
15 Agree to disagree, but, with what's going on in  
16 Russia, you have to be prepared for some pretty  
17 significant consequences.

18           So. what are some of the drivers for  
19 U.S. policy? It's been great to see multiple  
20 agencies here. It's been great to see members of  
21 the Alaska congressional delegation, the Senate  
22 Commerce Committee. We've got representatives



1 from the Governor's office, we've got others who  
2 have come in from the State of Alaska,  
3 Alaska-native organizations, and I'm hopeful that  
4 there are regional and local governments that are  
5 online through the webinar process.

6 It really takes collaborative input.  
7 It really takes cooperation. Because, again,  
8 it's really hard to get things done in Alaska.  
9 Permitting, timelines, logistics, construction,  
10 all that drives up costs, and that's if you're in  
11 a perfect world of alignment with policy  
12 interests.

13 So, you know, I really encourage  
14 everybody around the table and in the room and  
15 those listening to try and find those areas of  
16 common ground, work with the Alaska congressional  
17 delegation, you know, Senators Murkowski,  
18 Sullivan, Congressman Young, the Dean of the  
19 House, they are all tireless advocates for the  
20 Coast Guard, for NOAA, for getting things done in  
21 a very proactive way.

22 But it's that level of effort that is

1 often necessary to get even some of the basic  
2 local infrastructure. And I'll talk a little bit  
3 more about ports and harbors in a second. But,  
4 because this is HSRP, I thought I would highlight  
5 from the top of the list, NOAA's number one  
6 priority, you know, getting that charting done.  
7 And I've really appreciated hearing,  
8 particularly, from Admiral Smith, that it's not  
9 just about the percentages, it's about getting  
10 the right areas targeted and completed.

11 And I think some of the stakeholders  
12 that were on one of the earlier panels, you know,  
13 talked about the information and the data that is  
14 most critical to them, and synthesizing that and  
15 prioritizing that -- there are limited resources.  
16 And having worked on the Hill, even with the, you  
17 know, championing effort that the Alaska  
18 delegation brings to the table, there's only so  
19 much money to go around, and there are only so  
20 many resources that can be put out on the water.  
21 But I really believe that this should be an  
22 all-of-the-above-effort.

1                   NOAA's vessels, they're current  
2                   tireless champions on the sea. There are private  
3                   sector vessels, other vessels of opportunity, at  
4                   the federal level, and then outside source data,  
5                   you know, as cloud-sourcing, or taking in data  
6                   and getting it to a level of confidence. I  
7                   thought, you know, some earlier commentators have  
8                   expressed concern about only being able to rely  
9                   on the best data. You know, somewhere, I think,  
10                  as Ed had said, you may not get the gold or the  
11                  platinum standard, but you get enough up there  
12                  that allows for safe maritime operations.

13                  So, we've also heard about how  
14                  important it is to bring this mapping to shore,  
15                  because that's where the vessels are going and  
16                  that's where the people are. And if there's a  
17                  response, or there's an incident, that's going to  
18                  be very important.

19                  VICE CHAIR SAADE: Ten minutes.

20                  MR. STERNE: Other NOAA-related ocean  
21                  data and infrastructure that's very important.  
22                  Always glad to see Molly here and talking about

1 A00S. The data buoys that they put out providing  
2 real-time wave and other condition information is  
3 critical and it helps improve safe marine  
4 operations, it reduces risks, and, at the same  
5 time, it's important to try to understand how the  
6 marine environment is changing.

7 One of the entities that's not in the  
8 room right now, they may be listening, is the  
9 Army Corps of Engineers. If you're going to  
10 build a big port anywhere in the country, you're  
11 going to be working with the Army Corps, unless  
12 you're, you know, Paul Allen or Jeff Bezos and  
13 you're just going to self-fund it.

14 (Laughter.)

15 MR. STERNE: They haven't shown a lot  
16 of interest in coming up for that kind of work,  
17 yet.

18 But I wanted to highlight, again, it's  
19 very difficult to get things done from a federal  
20 policy standpoint in Alaska.

21 Typically, ports, around the country,  
22 when they're competing for federal money, or

1 getting in line for an expansion, or any kind of  
2 work, they go through a national economic  
3 determination.

4 And this is a really painstaking,  
5 complex process that basically looks, you know,  
6 how much freight's coming in and out, you know,  
7 what are the quantifiable economic benefits that  
8 would justify spending federal money, with a  
9 local cost share? With the exception of  
10 Anchorage, Dutch Harbor, and Valdez, that  
11 formula, that benefit cost ratio, really doesn't  
12 pencil out very well in Alaska.

13 So Congress has given the Corps  
14 authority, not just for Alaska, it works in other  
15 areas that are defined as remote and subsistence,  
16 but it allows -- and I won't go through the long  
17 list of criteria -- it allows for broader  
18 socioeconomic, environmental, and other regional  
19 economic factors to be taken into consideration  
20 by the Corps, and then producing a feasibility  
21 study that may rise up to the level of a Chief's  
22 Report and get the blessing of the Corps, and

1 then the funding of the Congress, hopefully.

2           So, it's tough. And even though  
3 Congress has given that authority to the Corps,  
4 the Corps is very used to doing business a  
5 certain way. So they still have to go through  
6 the NED process, but, you know, for a lot of  
7 ports and harbors in northwest Alaska and up on  
8 the Slope, this is the only path forward to get  
9 the Corps involved in a project.

10           There's other language that has been  
11 included by Congress, and I wanted to highlight  
12 this, because it starts to bring into these  
13 factors also national security and homeland  
14 security interests, so it brings in Homeland  
15 Security, Coast Guard, and also the Navy.

16           The National Defense Authorization Act  
17 Fiscal Year '17 established criteria for the  
18 Pentagon, in consultation with the Corps, Coast  
19 Guard, and MARAD, to look at potentially  
20 designated Arctic strategic ports.

21           And, again, I won't go through the  
22 long list of criteria there, but the middle

1 bullet talks about a lot of shore-based  
2 infrastructure. And I think that's where one of  
3 the real challenges is. I mean, you need  
4 airports, you need hospitals, you need  
5 communications infrastructure, and the ability to  
6 dock, you know, a big Polar-class icebreaker, an  
7 Arleigh Burke-class destroyer, or a national  
8 security cutter.

9           You know, Paul mentioned the IMO. I'm  
10 going to highlight just the port reception  
11 facilities. As the IMO Polar Code ratchets down  
12 on what is allowed to be discharged into Arctic  
13 waters, you're going to need a rest area, and  
14 you're going to need to have shore-based  
15 infrastructure so vessels can come to shore.

16           And Shep last night talked about, you  
17 know, improved design for some of the NOAA  
18 vessels to be able to stay at sea for 21 days.  
19 After that 21 days, I bet they really want to get  
20 to shore and replenish, so to speak.

21           So you're going to need that community  
22 shore-based infrastructure. You need airports

1 with regular jet service so, you know, if your  
2 vessel breaks down, you can get parts out to  
3 remote areas.

4 Hospitals for crew members. I'm not  
5 going to talk about how challenging it is up in  
6 the Arctic. If there was a real serious incident  
7 with, you know, several hundred or 1,000 crew  
8 ship passengers, like when the Crystal Serenity  
9 went through. The capacity of even the largest  
10 regional hospitals is really going to be stressed  
11 out.

12 Communications, the Quintillion fiber  
13 network really ups the game in the area. Utility  
14 infrastructure. You got to have power. Housing.  
15 If the Coast Guard is doing seasonal deployments,  
16 if NOAA establishes more of a presence, you need  
17 to be able to find places to, you know, let  
18 people spend the night.

19 And since Ed keeps mentioning how much  
20 business gets done in bars, you need a little bit  
21 of R&R, a little bit of shore leave when you've  
22 been on a boat for a while.



1 (Laughter.)

2 MR. STERNE: So the last thing I'm  
3 going to say, and this is an intentionally  
4 somewhat provocative way of describing things,  
5 but my first job out of law school was with the  
6 Environmental Defense Fund, so I started out in  
7 the environmental community.

8 And then I worked for the Alaska  
9 delegation. And I've had a few years of  
10 experience in between. But, in general, the  
11 environmental NGO community really looks at  
12 Alaska as a national park, and it looks at the  
13 Arctic, as an area that should be off-limits.

14 And I don't think that that is fair,  
15 or respectful, to the communities that have lived  
16 there for thousands of years. Some of you may  
17 have heard the term "eco-imperialism" before, but  
18 that's pretty much what it is. Sitting back in  
19 the lower 48 and pointing a finger at Alaska and  
20 -- I'll borrow a phrase that my former boss,  
21 Senator Murkowski, likes to use a lot -- try to  
22 turn Alaska into a snow globe, you know, pretty

1 to look at, but off-limits for development.

2 And it doesn't have to be development  
3 for the sake of oil and gas or minerals, but you  
4 got to keep the lights on. You got to keep the  
5 schools and communities. You've got to keep  
6 reasons for young people to stay in these  
7 communities so they stick around.

8 So, you know, while there are really,  
9 really significant challenges to do things  
10 properly, to do things safely, and to have a  
11 viable community in the U.S. Arctic, it's  
12 definitely worth it. So, thank you very much for  
13 having me today.

14 (Applause.)

15 MEMBER PAGE: Okay, I think, Ashley  
16 and I will kind of moderate any questions here,  
17 but you can direct those directly to the panel,  
18 but we're now open for questions to the panel.  
19 And I think Admiral Gallaudet is first in line,  
20 and Ashley can kind of take the controls from  
21 there. Sir.

22 RDML GALLAUDET: Thank you, Ed. You

1 know, you made a funny comment. You said that  
2 you didn't know the HSRP could consume so much  
3 beer. You'll find something interesting about  
4 NOAA leadership when we join you tomorrow.

5 (Laughter.)

6 MEMBER PAGE: Well, good.

7 RDML GALLAUDET: We're the  
8 competition.

9 MEMBER PAGE: Competition.

10 (Laughter.)

11 RDML GALLAUDET: I just want to  
12 address two comments, and, first, from you, Jay.  
13 You are absolutely right, we have great, great  
14 support from the Alaskan congressional  
15 delegation. I have met with all three very often  
16 and continue to do so, and they've been our  
17 champions. So I just wanted to put that on the  
18 record.

19 Secondly, for you, Mike. It's good to  
20 see you. Thank you for highlighting our  
21 partnership. And you're absolutely right, I have  
22 made it a priority -- and we have two top budget

1 priorities: our weather and water, getting the  
2 No. 1 weather model and reducing impacts of  
3 extreme weather and water, and the blue economy  
4 priority.

5 And an enabling objective, a top one,  
6 is increasing, strengthening, and expanding our  
7 partnership with the Coast Guard. And that's why  
8 I met with the Commandant so early on, and that's  
9 why I went to the change of command. I think you  
10 were there. It was quite warm there. Certainly,  
11 not like now. And it was just fantastic to hear  
12 the president talk about the good work the Coast  
13 Guard does, and it sounded a lot like he was also  
14 talking about NOAA.

15 But a couple things, too, about that.  
16 One of the ways that I've been trying to just  
17 expand our partnership is I've been getting into  
18 your morning brief every Friday.

19 And so my Coast Guard liaison, Captain  
20 Kurt Zegowitz, you know -- formerly it was  
21 Commander Mark Miller -- has been doing that and  
22 I make sure I personally write every entry. So

1 when he's briefing, it's from my mouth.

2 And usually I keep it a three up top:  
3 it's blue economy, weather and water, and the  
4 Coast Guard and NOAA partnership. And so if you  
5 saw me looking at my little iPad just now, it was  
6 because I was writing the input for tomorrow's  
7 brief.

8 (Laughter.)

9 RDML GALLAUDET: But, anyways, I just  
10 wanted to put that on the record, as well, that  
11 we are committed to expanding and strengthening  
12 this great partnership we have together.

13 MS. CHAPPELL: Okay. Other questions?  
14 Sean.

15 MEMBER DUFFY: Yes, I have learned  
16 some things, being from a completely different  
17 area of Louisiana and some other coastal  
18 challenges. And, Jay, I really appreciate a lot  
19 of your comments and see we have a lot of  
20 recovery to do in our area, too, related to oil  
21 spills and hurricanes and the challenges.

22 And I am sure it is easier to recover,

1 but is definitely not easy, and it takes a lot of  
2 work. And I'll tell you that I was really  
3 surprised when I heard Mr. Goodwin speaking. It  
4 dawned on me the similarities between the native  
5 peoples of Alaska and the Cajuns of Louisiana.  
6 You know, areas that are -- we have environmental  
7 refugees that are having to move from their  
8 homes, which are falling into the sea, and  
9 changing our ways of life and maybe not being  
10 able to fish as much, and the impact of the oil  
11 field work, too.

12 And I doubt I would have made that  
13 connection if I didn't hear you speak, so I'd  
14 like to follow that conversation up. I really  
15 enjoyed what you had to say and wanted you to  
16 know that, because of you, I made that connection  
17 that seems a world apart, but many of the  
18 challenges are very similar. Thank you.

19 CAPT ARMSTRONG: I had a question for,  
20 for Mike. You talked about the new icebreakers  
21 that are planned for construction and deployment.  
22 Can, can you tell me, if, if they'll be equipped

1 with multibeam echosounders?

2 MR. EMERSON: I can, definitely. Yes,  
3 sir. We had a very long process of going through  
4 requirements amongst the interagency, and there  
5 were 30 different agencies consulted. And there  
6 was a strong push-back from the science community  
7 on necessarily specifying what science  
8 requirements were involved.

9 And, again, it goes back to some, what  
10 I consider skittishness, regarding who's going to  
11 pay for some of these things. If you say you  
12 need it, then maybe you want to help pay for  
13 this, and it wasn't a public/private partnership,  
14 we call that one Congress. So all we were saying  
15 is, do you need these things?

16 And they said, well we're not really  
17 -- so we, the Coast Guard independently said,  
18 we'll have a three-beam radar on there. We'll be  
19 able to emulate what we're doing on the Healy now  
20 in helping you get some data that, for wherever  
21 we travel, and we're going to make sure that  
22 that's on there, as well as the basics of the,

1 you know, cranes and some other lab space and  
2 power capabilities.

3 So, we went through the previous  
4 requirements that that we've used in developing  
5 the Healy as a science vessel and said, this is  
6 what we're putting on. And everybody came back  
7 and gave us thumbs up.

8 CAPT ARMSTRONG: Yes. Thank you for  
9 that commitment on the part of the Coast Guard.  
10 And I think it'll be a terrific benefit to our  
11 effort to collect pretty accurate data in the  
12 Arctic.

13 MR. EMERSON: That's inside baseball,  
14 but, I tell you, you know, it's a challenge to  
15 get all the cats herded, but we were trying to  
16 get a relevant cutter that's going to be relevant  
17 in another 30 to 40 years when we start thinking  
18 about the next one.

19 MR. FUHS: Could I add something? A  
20 question we've had about the design of the new  
21 icebreakers, and that question is will it have  
22 any emergency response capability?



1                   And our understanding, the last time  
2                   the Polar Sea was retrofitted, that the towing  
3                   gear was removed. And, you know, we look at the  
4                   Russian response vessels that have been built and  
5                   I showed you the picture, they have firefighting,  
6                   oil spill response, towing capability, hospital  
7                   capabilities. I'm just wondering if any of those  
8                   would be incorporated into the design of a new  
9                   icebreaker?

10                   MR. EMERSON: Yes, sir. We're in the  
11                   design phase now, and we do have multi-mission  
12                   capability built into all of our ships. So it'll  
13                   have fundamental towing capability, search and  
14                   rescue capability, boat lowering. It's going to  
15                   have room for boarding teams, who are rescue  
16                   teams, who are special PJs, or, you know, special  
17                   capability teams. Those will all be in there.

18                   But the basic towing bridle and bit  
19                   are included in at least three of the designs  
20                   that I've seen. So we're waiting on the public  
21                   proposals now. We're expecting -- those are  
22                   already coming in. And then we're expecting cost

1 estimates in October. So we're moving ahead  
2 quickly and I'll have a specific answer for you,  
3 probably, the next time I see you.

4 MR. FUHS: Thank you.

5 MS. CHAPPELL: Joyce?

6 CHAIR MILLER: I'm really glad to hear  
7 about the increased U.S. Coast Guard and NOAA  
8 capabilities. But we've heard on the Panel for  
9 year, about this AIS broadcasting NOAA data, and  
10 out of personal ignorance, what are the obstacles  
11 to that?

12 MR. EMERSON: It is, again, inside  
13 baseball answer for you, that there's an IT  
14 piece, an information technology piece that is  
15 not sexy, it is not going to compete well because  
16 of timing.

17 The Coast Guard is currently buying  
18 large white things with a stripe on them that  
19 make noise and they're fun to watch, and the  
20 information technology has been sort of put on  
21 the sidelines for a while.

22 So, we're just catching up with

1 Windows 10, we're just implementing replacement  
2 for our -- our MISLE is our largest operational  
3 database. We are not looking at some of the apps  
4 and some of the more agile systems that we need  
5 to take streaming data, or real-time PORTS  
6 information that's available, and make it talk to  
7 a transmitter.

8 And it's a very simple app. And I was  
9 talking to the Marine Exchange about if I can put  
10 this on your existing contract and I can give  
11 you, you know, a couple of thousand and your  
12 smart kids in the basement of the science center  
13 can come up with the app and get this done.

14 You know, we try to proliferate that  
15 in other areas. And it's a small IT piece, but  
16 the way that we're organized, the Coast Guard has  
17 not been able to make that a priority. I've  
18 pushed it. I'm going to meet with Admiral Smith  
19 here, and Admiral Neddo, the Chief of Prevention,  
20 in the coming weeks and we're going to try to put  
21 together a timeline and the key milestones to get  
22 there.

1 I think it's important. It's just  
2 been, at this point in time, every dollar that  
3 the -- and the changeover to a new Commandant and  
4 new priorities -- every dollar that's out there  
5 is being prioritized to operational requirements.  
6 And the IT systems, if you saw me playing with my  
7 phone, it's not fun for me, it's because it  
8 doesn't work.

9 (Laughter.)

10 CHAIR MILLER: Thank you.

11 MEMBER HALL: Having worked with the  
12 Coast Guard on these issues, too, it's really  
13 sad, because a lot of the money for these systems  
14 are sweep-up funds at the end of the year,  
15 they're not actually allocated for and  
16 apportioned. So, the Coast Guard has a real hard  
17 time, when it comes to any of their IT systems,  
18 to get funding for them. It's kind of sad.

19 MEMBER PAGE: Thanks.

20 (Laughter.)

21 MEMBER PAGE: If I could just add that  
22 I've talked a lot about maritime domain

1 awareness. I was reading that the IMO defines  
2 maritime domain awareness as the effective  
3 understanding of anything associated with the  
4 maritime domain that could impact the security,  
5 safety, economy, or environment.

6 So I think that, many times, we think  
7 of maritime domain awareness of us, agencies, or  
8 looking at vessels, but I also think that domain  
9 awareness is giving information to vessels so  
10 they have information of that domain, the  
11 maritime domain they're operating in, so they can  
12 avoid bad things from happening.

13 So I think we kind of look at it  
14 twisted, kind of like Paul with the chart of the  
15 world that's flipped upside down, that the  
16 vessels also need that information. So I think  
17 that's where we're kind of going. And I think  
18 there's a lot of people that have an interest,  
19 and we're going to get there.

20 We're moving a lot forward, actually.  
21 The D-17's been very helpful in that and  
22 headquarters have been very helpful in that, and

1 I think they just finished a five-year study  
2 report that's very -- it says we should go  
3 forward.

4 So I think we're getting closer and  
5 closer to that. And technology is challenging,  
6 obviously, but I think we're getting better with  
7 that. So that's encouraging.

8 It's also good to see the Coast Guard  
9 signing the floating Swiss army knife, with more  
10 capabilities. Because I think we've learned a  
11 couple of times, you know, that the Coast Guard  
12 is usually the first on-scene, and if they have  
13 in their vessels a little bit more capability,  
14 they can, you know, slow things, or engage at a  
15 different level. And if you look at some of the  
16 other Coast Guards around the world, they're more  
17 of a Swiss army knife. If you look at the  
18 Icelandic Coast Guard, or what have you, or  
19 Finnish Coast Guard. So I'm glad to see that's  
20 incorporated, because we're not going to have  
21 tugs floating around available up in the Arctic  
22 to deal with vessels in distress and what have

1 you, so I'm very excited about that opportunity  
2 for the Coast Guard.

3 And I think the good thing that we're  
4 hearing is that, even though the activity in the  
5 Arctic hasn't really grown that tremendously,  
6 yet, you know, everyone's leaning forward and  
7 being proactive and not waiting until all the  
8 activity is happening.

9 They're really-- so there's a lot more  
10 behind the scenes, and I think this conference  
11 shows that, that there is a lot of work being  
12 done. And I think that we're going to make sure  
13 that we close the barn door before the horse gets  
14 out, in this particular case.

15 MS. CHAPPELL: I think we have time  
16 for one more question.

17 CHAIR MILLER: I have a simple  
18 question for Willie. Since you said your area's  
19 the size of the State of Indiana and has 6,800  
20 people, I was born in Indiana, so I was  
21 interested. How many people -- is that pretty  
22 much a steady-state population, or were there

1 previously a lot more people in those areas?

2 MR. GOODWIN: The native population in  
3 the area is back to what it was 200 years ago.  
4 Because when the first ships, whaling ships,  
5 started coming around, and the other ships, they  
6 brought the diseases that our people were not  
7 accustomed to, so there was a lot of people that  
8 died because of those. And now we're back to the  
9 population we had 200 years ago.

10 MS. CHAPPELL: Very quick.

11 MR. BOLEDOVICH: This is more of a  
12 request for information. So, myself and my staff  
13 do a lot of reporting and talking points for  
14 people, and any authoritative information you can  
15 provide, or what authorities you would say are  
16 the best, for either current or projected levels  
17 of marine transportation in the Arctic.

18 We get a lot of numbers from a lot of  
19 different places. People up the chain says,  
20 well, which one is right? You don't have to  
21 answer the question now, but if you could help us  
22 with that, that would be really great.



1           Because we get a lot of conflicting  
2 information about what's going on up here, and  
3 I'd like to be able to make sure I'm accurate,  
4 because I'm a former journalist. So, that would  
5 be helpful, I'd appreciate that.

6           MS. CHAPPELL: All right. Well, to  
7 wrap up, I would just like to thank this panel  
8 for this great overview and overlook at the  
9 opportunities and challenges in the Arctic.

10           I think it was fascinating to hear  
11 everything at all these different levels where  
12 people are impacted, from the local to the  
13 highest level. So I thank you all for coming  
14 today, and actually being here for the last two  
15 days, as well.

16           And, Ed, thank you for doing all the  
17 introductions. That was terrific. So I think  
18 we're ending on-time, we're back on schedule, and  
19 you're probably all in need of a break.

20           (Whereupon, the above-entitled matter  
21 went off the record at 10:59 a.m. and resumed at  
22 11:17 a.m.)

1                   CHAIR MILLER: Welcome back to the  
2 morning session of the HSRP. In followup to our  
3 panel, and it's time for our public comments  
4 session, so we're taking both questions for the  
5 panel and public comment in general, also on the  
6 webinar.

7                   So we have two comments, two speakers.  
8 Molly McCammon would like to ask a question.

9                   MS. McCAMMON: Actually, Madam Chair,  
10 this is a comment, kind of a followup over your  
11 last couple of days. There are two projects that  
12 the Alaska Ocean Observing System is working on  
13 in partnership with the Marine Exchange and the  
14 AIS data.

15                   This is, as people have noted, this is  
16 an incredibly rich historical database. We're  
17 funded by the Arctic Domain Awareness Center to  
18 take vessel tracks and help use that to  
19 prioritize where charting and mapping should be.  
20 This started from a national project, actually on  
21 the East Coast, and now we're doing it in the  
22 Bering Strait region.

1           And then we're doing a project that's  
2 funded by the National Academy of Sciences for  
3 the North Slope that has taken the AIS tracking  
4 data, combining that with subsistence harvest  
5 areas by species and by time, and then using oil  
6 spill scenarios to do some risk assessments.

7           If there was an oil spill in a high  
8 risk area, where might that oil go, and which  
9 species, and in what time, might be most  
10 impacted. So this could help for planning and  
11 preparation of deploying any boom or response and  
12 really helping that kind of planning effort.

13           So I wanted to note those two projects  
14 that we're working on that really take advantage  
15 of the AIS database.

16           The second thing I wanted to note is  
17 that I think there was some mention about crowd  
18 sourcing for bathymetry. And we have worked with  
19 Ashley Chappell, and there she is right there  
20 several times. And we've written a lot of  
21 proposals to start this and to do a pilot effort.

22           We do have the capacity of our data

1 center to do this kind of crowd sourcing. So if  
2 you know of some extra funding that might be  
3 available to do that, actually implement that  
4 pilot effort, we have it all ready to go.

5 And then lastly, I just want to note  
6 that I am on the Ecosystem Services Working Group  
7 of the NOAA Science Advisory Board. And I have  
8 been working with Ed and with Denise Reed on this  
9 effort, on how all the various advisory  
10 committees really provide some advice and some  
11 priority needs for feeding directly into NOAA's  
12 priority. So it's a good working relationship.  
13 So thanks very much for coming.

14 CHAIR MILLER: Nathan Wardwell, I  
15 believe, had a question.

16 MR. WARDWELL: Yeah, hello, Nathan  
17 Wardwell with JOA Surveys. This is not so much a  
18 question as just a comment after listening for  
19 the past couple days. And I've heard a lot of  
20 great discussions about, you know, the Arctic and  
21 PORTS and 3D Nation.

22 I just want to highlight the

1 importance of longterm, continuous water level  
2 measurements and short-term water level  
3 measurements in the Arctic and in Alaska in  
4 general.

5           You know, if we're doing PORTS, you  
6 need longterm, continuous measurements. The  
7 coastal engineers need this for designing their  
8 PORTS and, you know, I need like a year or more  
9 of observations.

10           And it's challenging up here with the  
11 sea ice and access and everything. But there's  
12 methods of doing that with bottom-mounted  
13 pressure gauges and buoys.

14           And then these longterm stations also  
15 add value to reduce the uncertainty in our tidal  
16 datums at short-terms stations, which, these  
17 tidal datums, when you tie them into the  
18 ellipsoid, are an important value for coming to  
19 this 3D Nation concept. You're not going to be  
20 tying in your bathymetry to your topography  
21 without that tie between the National Spatial  
22 Reference System and your tidal datums.

1                   And so I just, that was just my  
2                   general comment for the, listening for the past  
3                   couple days.

4                   CHAIR MILLER: Thank you. Are there  
5                   other comments from the audience here in Juneau?  
6                   Or questions for our panelists? Lynne, is there  
7                   anything from the webinar? Who had a comment?  
8                   Oh, there is a comment from Rose in the back.  
9                   Rada, sorry.

10                  MS. KHADJINOVA: Question to Paul. So  
11                  what is the main obstacle in pushing the data  
12                  through AIS? Can you summarize that?

13                  MR. FUHS: Well, as I understand it,  
14                  and probably somebody else could answer better  
15                  than I could, but just I guess it just, the  
16                  permissions to be able to do it, the permissions.  
17                  And I don't know if it also ties in with the FCC  
18                  or anything else. But you know, for the Coast  
19                  Guard permissions to be able to use the system to  
20                  transmit the data.

21                  And I also want to mention just, you  
22                  know, for some of the things whether it was a

1 safe shipping practices as best practices, or  
2 being able to use AIS data, or anything else, I  
3 know a lot of times we'd really like to support  
4 the work that you're doing.

5 But it's very byzantine and mysterious  
6 sometimes the way these channel work between the  
7 agencies. So if you can help us identify where  
8 some of these points are where the influence of  
9 the end users, the marine industry, can weigh in  
10 to say this is what we need. We need to use  
11 this.

12 Otherwise I think sometimes in the  
13 budgeting process people look at it, "Well, this  
14 is just some other bureaucracy trying to get  
15 something and increase their, I got somebody else  
16 over here."

17 And you know, if we can perform that  
18 function to help bring the industry to the table  
19 to say this is what we need and this is what we  
20 need to support it. But I think we may need some  
21 guidance from you as well from where that  
22 information needs to go.

1           MR. EMERSON: Well, let me add just  
2 one piece is the actual mechanical connectivity  
3 between a data string and a transmitter requires  
4 communication. It requires an IT piece, coding  
5 that will tell a device to find a piece of  
6 information and turn it into a radio signal.

7           We don't have that right now. We have  
8 a national database that I can create signals  
9 manually, and I can take positions of a nav aid  
10 that may be off-station due to a hurricane. And  
11 we did this 364 times during the three hurricanes  
12 last year.

13           We manually type these in and we hit  
14 send, and they project on the ECDIS or on a  
15 bridge management moving map display, a virtual  
16 nav aid over AIS. As long as the AIS is on, the  
17 national AIS system, there will be a buoy showing  
18 on everyone's moving map.

19           If that buoy has to move, I have to  
20 manually put in where that buoy should be showing  
21 now. Of course, buoys don't have to move, they  
22 mark a position. But if I was to put in title



1 information, I could put in that there is a 1.5  
2 foot tide and hit send, and everyone could say,  
3 well, that's the tide.

4 But then if I wanted that tide to  
5 change an hour later or a minute later, I would  
6 have to keep putting it in manually. That's as  
7 simple as I can make it. I don't have a  
8 capability right now in the national system to  
9 take that information and stream it, if you will.  
10 So I'm obviously not an IT guy.

11 But I haven't been able to make that  
12 a priority yet, and I'm hoping after this  
13 conversation, this meeting, that we'll be able to  
14 elevate that to a priority for the Commandant and  
15 therefore for the Hill, for the Congress to say  
16 we agree, and for Coast Guard and NOAA and for  
17 the industry, we need to have that.

18 And so that's what I've suggested to  
19 Joyce is put that in your findings, your minutes  
20 and recommendations.

21 CHAIR MILLER: There's a comment from  
22 the audience. Jim, or Jon?

1           MR. DASLER: Jon Dasler, David Evans.  
2           So we explored that with, actually back at the e-  
3           navigation conference. So there is AIS AtoN  
4           message. It's called AtoN, it's basically for  
5           weather tied to current. Broadcasts information,  
6           and the pilots are doing that and using messages  
7           and getting it out by that.

8           But we were always told you can, like  
9           Sutron even makes instruments where you can tie  
10          it into the gauges and it'll format it into AtoN  
11          message and you can do the broadcasting. But the  
12          issue was bandwidth, and they were so worried  
13          about --

14          MR. EMERSON: Is that atonus?

15          MR. DASLER: AtoN, like Aid to  
16          Navigation. AtoN, can't remember the exact  
17          message is like a 107.

18          MR. EMERSON: Oh, I thought you were  
19          talking about the system itself.

20          MR. DASLER: Yeah, no, but it's an AIS  
21          broadcast message that's specific for weather  
22          information. That's probably what Ed, I'm

1 assuming he uses it for the same message ring.

2 But I know in Europe, that use that  
3 quite a bit. But we were told it was, they were  
4 concerned about bandwidth. So that might be  
5 something to help push to get that going.

6 The other thing, it wouldn't work so  
7 well in Alaska, but in the lower 48. And when we  
8 used a lot of Sirius XM Mariner, that, you know,  
9 the weather overlays where you can get cones of  
10 probability, radar overlay. And I was just  
11 talking to Rich about that.

12 That might be nice for the CO-OPS team  
13 to get the PORTS system on those systems where  
14 you, you know, it's a good way of receiving that  
15 information.

16 MEMBER PAGE: Can I clarify an issue  
17 just real quickly. I mean, this bandwidth  
18 capacity, I think this, one of the issues is that  
19 it's that as more and more vessels are getting  
20 AIS, if you're in LA-Long Beach on a Friday  
21 afternoon, and the sailboats take off their AIS  
22 Bs. And you have all the vessels at A and

1 everything else, you do have a capacity issues as  
2 far as too much information going over.

3 It's like listening to VHF radio. So  
4 much noise on a VHF radio, people don't listen  
5 anymore in LA-Long Beach because it's just  
6 clutter and non-relevant. That's something the  
7 Coast Guard's working in other frequencies and  
8 other challenges.

9 But it's nice in Alaska, we don't have  
10 that issue, we never had that overload of  
11 information going to AIS. So we have a unique  
12 environment where it does work and it's not a  
13 capacity issue.

14 But you know, Mike Emerson's challenge  
15 is when he looks at solutions, he's not going to  
16 look at it nationally. And this solution doesn't  
17 work everywhere, it works in some of the areas.  
18 And that's the trick, is how these regional  
19 solutions that work in particular areas.

20 And so that is a legitimate concern in  
21 some areas. It's not really a concern up here,  
22 but it is one of those issues you're wrestling

1 with, the technology and the capacity and the  
2 frequencies, and this is internationally we're  
3 realizing that we've already, this has really  
4 been used much more than we'd ever thought it'd  
5 be used. And we have to start figuring out how  
6 to deal with that. So anyway.

7 CHAIR MILLER: Lindsay, you had a  
8 comment.

9 MEMBER GEE: Yeah, just so Mike I  
10 guess is we did hear that a lot. I think that  
11 with NOAA regarding the kind of digital  
12 infrastructure and those sort of things. And we  
13 had a position paper see that it's like, we see  
14 that as one of the key issues.

15 And I think but part of the message is  
16 we all kind of understand it and think of it as  
17 that IT kind of stuff, we don't want to. But  
18 it's actually just as important as the other  
19 infrastructure, whether that's ships, roads,  
20 railways, all that sort of stuff.

21 And I think the message is, kind of  
22 it's, in this modern age, it's the

1 infrastructure. And that's something that if you  
2 can, I don't know, we acknowledge that and we  
3 support it. We had a position paper saying  
4 that's just as key, and it's the things that are  
5 transparent to everybody, the ships are sexy to  
6 look at an all that sort of stuff.

7 But you can't do anything without the  
8 foundation, whether it be the digital charting  
9 information, the tidal, the NGS kind of levels.  
10 And I think the message from the HSRP has always  
11 been, yeah, this is a key element and it needs to  
12 be really public. They changed the message, it's  
13 not just IT, it's infrastructure now.

14 MR. EMERSON: Completely agree, sir.

15 CHAIR MILLER: Okay, and I would say,  
16 having over 40 years worked in and out of NOAA as  
17 in various capacities as a contractor, as an  
18 actual employee, and I'm sure it's the same way  
19 with the Coast Guard. Some of the infrastructure  
20 issues just drive you crazy.

21 And you know, I'm sure everybody  
22 around this table has a story, that's worked for

1 a government agency, has of you know, how  
2 difficult it can be to solve IT problems in  
3 particular, so.

4 We have a comment from the webinar,  
5 Guy Noll. And Admiral Smith is going to read it.

6 RDML SMITH: Yeah, so Guy asks, "Has  
7 there been any discussion of Ecological Coastal  
8 Units, which is a USGS-led initiative?" And he  
9 lists a website which may be of interest to  
10 Panelists. Anybody have any comments or answers  
11 on that? Otherwise, it's an interesting thing to  
12 follow up. Thank you, Guy.

13 CHAIR MILLER: Any further discussion?  
14 Panelists, you're welcome to stay or go as you  
15 need to. I believe Ashley and Ed are going to  
16 lead a discussion of next steps for and our  
17 future topics for our Arctic Working Group.  
18 Ashley and Ed.

19 (Applause)

20 MEMBER PAGE: True to form, I have  
21 nothing profound to say. Just talk about parties  
22 and beer and stuff like that's my strength.

1                   But the, you know, Arctic, we have a  
2                   subset of Arctic Working Group that we decided  
3                   that, Andy was part of that, I think Larry, oh  
4                   there you are, of course. And Julie and others  
5                   are part of that group.

6                   And we decided we're going to hold off  
7                   making decisions until we talk to people that are  
8                   experts. And those experts just presented to us  
9                   moments ago. So we obviously have to digest  
10                  that, discuss that further, what have you.

11                  But it'd be I think somewhat premature  
12                  for us to start identifying the issues without  
13                  actually listing the people that have other  
14                  perspectives and a wide range of perspectives.  
15                  And I think clearly every one of those presenters  
16                  came from a different angle.

17                  And I think that gave us a good  
18                  breadth of the issues, the challenges. But also  
19                  the niche, if you will. And of course these  
20                  things always go astray into, bleed over into  
21                  other issues. But the niche within the NOS  
22                  program is pretty clear.



1           There's a lot of relevance to NOS and  
2           how our information, or the information -- it's  
3           not ours, but the information NOS provides is  
4           going to contribute to ensuring that this  
5           increased maritime activity has the least  
6           negative impacts.

7           It's safe, efficient, environmentally  
8           sound, and that the Native communities are, that  
9           they can continue to exist up there and not be  
10          worried about oil spills and what have you  
11          landing on the beach.

12          It's also, to me, we talk about LNG,  
13          more and more vessels are going to have LNG on  
14          board. And it's intriguing to me, and I think  
15          that this may be something, I'm not sure if it's  
16          within the bandwidth of HSRP or not, but I think  
17          we should raise the issue that all these safety  
18          environmental regulations are all directed toward  
19          vessels carrying oil.

20          And so if you don't have oil, you're  
21          just an LNG vessel only carrying 50 miles of  
22          containers, there are no regulations in place to

1 talk about emergency response. There's no  
2 requirements for ship, I mean firefighting and  
3 salvage, no requirement for other response.

4 There aren't even risk mitigating  
5 measures, you know, in many cases because it's  
6 all oriented toward oil. OPA 90 has assumed, and  
7 at the time safely assumed, that every vessel out  
8 there was operating with oil. And therefore that  
9 was the concern that when a vessel hits the  
10 beach, there's going to be a oil problem.

11 Of course there's other, certainly the  
12 passenger vessel regulation coming into play  
13 also. But now we're hearing in some cases, I  
14 don't really see them in our waters, but there  
15 are nuclear vessels obviously operating in the  
16 Arctic, at least in the Russian Arctic.

17 But we are going to start seeing LNG  
18 vessels. And so I think we need to kind of think  
19 about maybe that too is something you don't want  
20 to go on beach. Even though it doesn't spill  
21 oil, I think the idea that vessel, a thousand-  
22 foot vessel of 50 miles of containers floating

1 around would probably of concern.

2 And maybe there'd be some looking at  
3 that and risk mitigating measures and regulation  
4 applied those types of vessels. Because there's  
5 other hazards other than oil hitting the beach.  
6 So I think that's another area we kind of need to  
7 look at when you hear LNG, let's think about that  
8 for a second. It's not only oil.

9 And of course the other issues it  
10 raised, have been raised as far as how that's  
11 impacting the communities. Well, we don't want  
12 to impact their native fisheries, the subsistence  
13 hunting operations or the wildlife that appear in  
14 that area. It's a very rich biological region,  
15 and we don't want to -- and it's dynamic  
16 obviously, because ice is changing.

17 So you know, in the Coast Pilot, which  
18 is not that responsive, obviously. And I know  
19 Admiral Smith and I have talked a little about  
20 this as far as the idea of a dynamic interactive,  
21 more, you know, relevant Coast Pilot sends  
22 information to the vessel in that particular

1 area, and not irrelevant information.

2 And one of our friends that the  
3 Admiral Smith and I have a friend that, Kip  
4 Louttit down in LA-Long Beach, who is running  
5 that vessel traffic service along with the Coast  
6 Guard. And he talked about how information, the  
7 challenge of getting information to vessels can  
8 be they can act upon it.

9 And if you're a major ship and pulling  
10 in LA-Long Beach, you're going to listen to pilot  
11 frequency Channel 9. You're required to get  
12 Bridge-to-Bridge Channel 13. The BTS, Channel  
13 14. You're going to be listening to Channel 16,  
14 the hail and distress frequency. And probably 21  
15 or 22, some of the broadcasts are going on. But  
16 try to listen to five different frequencies and  
17 navigating the vessels and listening to your  
18 crew.

19 Well, there's one container ship that  
20 was just plowing in too fast, and there's  
21 congestion up ahead. And the Vessel Traffic  
22 Service called them on 9, 13, 14, 16, 21, 22.

1       Couldn't get hold of the ship. And even though  
2       he wasn't authorized to do so -- I'm not putting  
3       him on report, am I?

4                 Anyway, somebody, unknown, sent a text  
5       message to the ship via AIS. Said, Captain, call  
6       us on Channel 14. He called right up. Yeah,  
7       Traffic, what do you need? So he was information  
8       overload.

9                 There's too much non-relevant  
10       information going in the airwaves at him that he  
11       basically shut down and says 99% of this is non-  
12       relevant. I can't tune in and hear the only  
13       relevant stuff.

14                And that's part of the reason why AIS  
15       came about, was this idea of delivering  
16       information better, relevant information to the  
17       right vessel, and not giving you all the  
18       information everybody out there needs to know.  
19       And you're supposed to dissect and pick out the  
20       little item that's relevant to you.

21                And so that's where I think the  
22       future's going, is if the best information,

1 accurate information, timely information to those  
2 who need it, and not, you know, not everything  
3 else out there.

4 And so those are things I think that  
5 we can look at as a new maritime frontier with  
6 new technological tools that we can introduce  
7 that actually some HSRP people can discuss and  
8 explore and provide in position paper. That's my  
9 preliminary thoughts.

10 But I leave this now to my colleagues,  
11 Andy and Larry, if they have any other. And  
12 Julie, of course. Lindsay, aren't you on my, I  
13 can't remember, did you agree to be on the Arctic  
14 Panel? Of did I just make you on, I can't  
15 remember. On the Arctic Subcommittee Group, are  
16 you on that or not?

17 MEMBER GEE: I'm on the Arctic Panel,  
18 yes.

19 MEMBER PAGE: Yeah, okay, okay. I'm  
20 sorry.

21 MEMBER GEE: The Australian, I'm from  
22 Down Under Arctic.

1                   MEMBER PAGE:  Either way.  Whoever  
2                   else has said they want to be on it, I don't  
3                   recall.  I don't have the list right now, so.

4                   MEMBER GEE:  I just, kind of just what  
5                   you're saying there about, and I think it relates  
6                   to what Andy and Larry, I'm not sure with the,  
7                   we're talking about the infrastructure and the IT  
8                   and that sort of stuff.  But we, the use of that  
9                   and the user interface, and I think that's one of  
10                  the.  It gets a bit diluted.

11                  I think people that have been to UNH  
12                  and seen the visualization lab, what they miss in  
13                  that, they see the results of something.  I think  
14                  someone had wind up the other day, and that was a  
15                  really intuitive way to see data that's  
16                  essentially from a number of models.

17                  And it's about how you perceive the  
18                  data and make it easy for people to get it.  And  
19                  the visualization lab underlying that is the sort  
20                  of psychologist and that testing of how people  
21                  interact with data, and maybe that can be raised  
22                  in the, you know, your research over there, I

1 think, that maybe Larry comment on that.

2 But it's fundamental. Visualization  
3 comes about because it's an easier way to look at  
4 data and to try to lower that overload that  
5 people are getting. And it's like, okay, you  
6 need that real fundamental research in the  
7 psychology of interacting with it.

8 It's not some software guy that's  
9 going to solve that, because they kind of mess  
10 that up in the end. And you really need that  
11 fundamental changes that move it forward, I  
12 think, so.

13 DR. MAYER: I'll just comment, and I  
14 say I can't agree more. But that's somewhat  
15 self-serving in terms of what we do. But I think  
16 it's critical that we start thinking in those  
17 directions. In terms of not dismissing a visual  
18 display as the way to integrate these kinds of  
19 information in a very intuitive form.

20 And before Anne goes running out, I'll  
21 just say that already she's started some  
22 discussions that we're going to have with our lab



1 with people at Volpe who are making PPU's and  
2 seeing how we can actually get. Our frustration  
3 is really getting that input from the users, from  
4 the pilots, from the navigators, and really  
5 making sure that what we're developing from a  
6 research end is a useful tool

7 And I think the more we can build  
8 those connections, and this venue is a great  
9 place to start that, the better off we'll all be.

10 MEMBER PAGE: Agree, and those are all  
11 good points. And I guess the thing that I've  
12 noticed also as we start pushing out data that,  
13 and I'll blame pilots. Since Anne's walking out,  
14 she can't defend them. She's going to defend,  
15 okay. But I've talked to pilots, like, how do  
16 you want the information displayed.

17 And then some goes, some will say I  
18 want a smart phone because I'm out walking about.  
19 I want to know what the status of my boat is, and  
20 so I don't need all the detail. And then someone  
21 else says, well I'm not on a computer screen with  
22 all of the charts and somewhere.

1           So the reality, depending on the  
2           circumstance and the individual and the  
3           personality, there's not one solution. You have  
4           to have a couple different ways to present the  
5           data. And I think then you meet these needs.  
6           Because people are wired differently, and some  
7           people read better.

8           But we certainly know some ways of  
9           five different frequencies broadcast doesn't seem  
10          to work, you know. And so we, there are other  
11          ways to deliver it, to text or smart phones or  
12          computers and whatever.

13          And so I think we do, you know, three  
14          or four different types, and some people are  
15          going to want the Coast Pilot, quite honestly.  
16          But it may not be as relevant and current, but  
17          they still like that aspect.

18          So the challenge is let's get  
19          information out, and we get it out in several  
20          formats, and so it's easier to interpret and  
21          apply and whatever. See, I pulled my punches  
22          since Anne came back in.

1 CHAIR MILLER: Anne, any comments?

2 MEMBER McINTYRE: I think both  
3 observations are correct. You do deal with like  
4 kind of information overload, and you have to  
5 find like a professional process to kind of cull  
6 through the information. And it's, you know,  
7 just even talking about the VHF radios.

8 Most of the time when I'm doing  
9 something that's complex, like docking the ship  
10 or something like that, I turn Channel 16 off.  
11 There's just certain things that I do to  
12 disassociate all that information from coming in.

13 And I also agree with the  
14 customization standpoint, is that pilots in ports  
15 throughout the United States have different  
16 needs, different environments that they work in.  
17 And there's different ways to present the  
18 information, and then there's also different  
19 information that they need.

20 CHAIR MILLER: Thanks, Anne. By the  
21 way, goodbye.

22 MEMBER McINTYRE: Thank you,

1 everybody. It's been a great meeting. I really  
2 do appreciate all the effort that went into  
3 setting this up and I learned a lot, and I think  
4 it's been really valuable. Thank you.

5 CHAIR MILLER: Thanks. I would add to  
6 perhaps the Coast Pilot information, perhaps the  
7 Coast Pilot is more useful for people who are  
8 transitting areas who aren't familiar with them.

9 I mean, generally the people in an  
10 area will be familiar with that information. But  
11 the people coming up for the first time or  
12 something still need that wealth of information  
13 that's there.

14 MEMBER PAGE: Well, I mean, I saw the  
15 article today that Admiral Smith took the front  
16 page again, the Juneau Empire, he's a star here.  
17 But he talked about in nautical charts moving on.  
18 You know, we made it, I'm sorry. But you had  
19 lots of quotes.

20 Anyway, and yet there are some people  
21 who really love charts and probably still want  
22 them. In fact, we have a print-on-demand chart

1 printer in our office, and people come in all the  
2 time wanting. And I said, you can get electronic  
3 charts too, you know that.

4 But I'm the same way, I like, it's  
5 sometimes I like a big chart, I can lay things  
6 out. But I'm on my little boat, a little chart  
7 just where I am is all I really need. So, and I  
8 read digital books, and I sometimes dislike a  
9 regular book, you know.

10 And so reality is we want a couple  
11 different ways of getting this information. And  
12 that's fine. And I think the challenge to the  
13 Coast Guard is to some extent, you know, people  
14 say, why not do virtual aids? Well, you know  
15 what, people depend on visual.

16 There's nothing more confident,  
17 comfortable than knowing when you see a visual  
18 aid, you have total confidence. And maybe off-  
19 station, but you have total confidence, and you  
20 know, hopefully it's on-station. More often than  
21 not it is, obviously.

22 But there's some, you know, when

1 people are talking about virtual aids, it's  
2 really just another layer on top of that. It's  
3 not taking the aid out necessarily, it's just  
4 another higher confidence. And they can transmit  
5 the aid as off-station or determine it's off-  
6 station and what other things such as that.

7 So at the end of the day, people  
8 really will tell you that I want both. I want a  
9 virtual aid and I want the actual aid itself.  
10 Because I'm in fog, I can't see the aid, but I  
11 can see your virtual aid, or what have you.

12 And I know if in ice, I have less  
13 confidence in the -- or some other conditions, I  
14 have less confidence in the aid than I do, or.  
15 Because some of these aids around here get taken  
16 off by ice, and you're off someplace else.

17 In fact right now, when I run the bar,  
18 I've seen a couple times like I know that buoy's  
19 someone here to take it off-station. There's no  
20 one depending on it. Because I use a combination  
21 of past track lines and look at the Aids to  
22 Navigation.

1                   So the challenges are that we  
2                   introduce and add another layer of information  
3                   into the network. It doesn't necessarily replace  
4                   other things completely. In some cases it will,  
5                   but not always will it be the case, you know. So  
6                   we just need to understand that.

7                   It's not that simple, it's just take  
8                   one out, put something else in place. If you get  
9                   rid of coast pilot, someone's going to be upset,  
10                  you know, because they lose, there's a strategic  
11                  plan. You're sitting out there, planning your  
12                  voyage, it's a good tool. And you can flip  
13                  through better and understand things.

14                  But when you're actually underway, you  
15                  may forget those details until someone sends you  
16                  an alert. And you go, oh, yeah, let me look back  
17                  at that, so.

18                  CHAIR MILLER: Lindsay, you had  
19                  another comment.

20                  MEMBER GEE: Yeah, just another  
21                  comment related to that again. I think as, it's  
22                  one of the areas that we talk about, the digital

1 infrastructure and the importance for NOAA to  
2 really go from a product, I think, to a data  
3 infrastructure.

4 And in a way, I think that the ocean's  
5 in a way a bit constrained in shipping by the  
6 standards. Because we're very much, you know,  
7 the NOAA and the national authorities are  
8 constrained by the SOLAS requirements in the end.  
9 I mean, that's kind of the key thing.

10 Whereas on land, you know, the data's  
11 available and many, many people have used it and  
12 we see it on our apps and all those sort of  
13 things, right. And we're constrained, I think,  
14 offshore because there's not as many people  
15 operating offshore. There's us, you know,  
16 there's kind of not many of us if we think about  
17 it.

18 And so this is where I think industry  
19 are there, but not enough. And it's just a  
20 market in the end. But my view would be we'd  
21 like to see the data out there. And that's why  
22 it's so critical for NOAA to have all of their



1 data available. And then people that don't need  
2 to have it to the SOLAS requirements can build  
3 the apps and those sort of things.

4 And this is an area where the ECDIS  
5 was needed to transfer from the paper chart to an  
6 electronic chart, but in a way it was a  
7 disservice to the non-SOLAS people, because  
8 really, my view is like, oh, well, I'm a  
9 fisherman and I want to look at it this way.

10 Exactly what you say, I'm a tug  
11 operator, I want to look at it this way. I want  
12 to go up on the intertidal areas, I want to look  
13 at it that way. And I think that should be the  
14 vision that it provides the data service for  
15 those people that want to do stuff with it.  
16 That's where we've moved to.

17 And you know, the previous way we  
18 looked at the data was the chart, and I think  
19 we're moving forward. And I commend NOAA and I  
20 think what Shep's doing is moving in that  
21 direction.

22 But communicating that to people and

1       trying to get industry involved to be able to --  
2       well, you're doing it in a way. And already at  
3       the Marine Exchange, you're providing, taking  
4       stuff and providing it the way people want it.  
5       And you're saying, like with the weather, people  
6       just love that.

7                   And I think that's a key message, that  
8       I don't think NOAA can provide all the products  
9       to all of our, the users in the marine  
10      environment. And acknowledging that and then  
11      saying, yeah, but we're going to make sure as  
12      NOAA we've got the data infrastructure, then  
13      others can build on top of.

14                   I think that's a real key, in my view  
15      and from a technology kind of point of view and  
16      an industry point of view, I think we're, and we  
17      really need to have the industry then come along  
18      and build those things.

19                   But I think we're always going to be  
20      constrained that it's a much smaller market that  
21      they're serving to the, you know, land, people  
22      driving cars and all that sort of stuff, so.

1 It's just a general comment on that, thanks.

2 CHAIR MILLER: Okay, so we'll hear  
3 probably from the Arctic Working Group after they  
4 have a chance to get together after the meeting  
5 and have their first interim telephone  
6 conversation.

7 Okay, it's 11:50, we have a lunch  
8 break, a working lunch for the HSRP members. Oh,  
9 I'm sorry, I forgot one thing. Oh, okay, sorry,  
10 we're not going to have the break. First of all,  
11 Larry had an announcement.

12 DR. MAYER: Yeah, just an  
13 informational announcement. On September 11,  
14 Tuesday, September 11, the Ocean Studies Board,  
15 the Polar Research Board, and the Marine Board of  
16 the National Academies of Science, Engineering,  
17 and Medicine are going to be holding a, what they  
18 call a scoping session on arctic marine  
19 infrastructure.

20 And a scoping session for the National  
21 Academies is when there's been enough interest  
22 from a number of agencies, and I can guarantee

1 there are a number of agencies that have  
2 expressed interest in supporting our study by the  
3 National Academies on a particular topic, and in  
4 this case it's arctic marine infrastructure.

5 So the one-day session is going to be  
6 held to try to outline what the scope of that  
7 study should be. And there'll be representatives  
8 from a number of different federal agencies, from  
9 a number of different stakeholder groups, state  
10 agencies, and the local community.

11 And I just wanted to let you all know  
12 that Captain Brennan will be the Coast Survey  
13 representative at that meeting.

14 And should you have any issues that  
15 you might want raised at that in terms of what a  
16 National Academy study might be looking at with  
17 respect to arctic marine infrastructure, I would  
18 suggest that you talk to Captain Brennan, and he  
19 can feed that into the session. That's it, thank  
20 you.

21 CHAIR MILLER: Thank you, Larry.  
22 Julie, we're going to put up, for the audience's

1 information, the CO-OPS Group has put out a  
2 strategic plan. The HSRP was asked to respond to  
3 it, and this will be included in our letter to  
4 the NOAA Acting Administrator after the meeting.

5 We have previously discussed this, and  
6 this is just a confirmation of our decisions of  
7 what comments we should make. And I'll turn it  
8 over to Julie Thomas.

9 MEMBER THOMAS: Thanks. So as Joyce  
10 said, the HSRP all submitted comments on the  
11 plan. First of all, we want to thank Rick Edwing  
12 for allowing the HSRP to review this and to  
13 provide comments. That's really great.

14 And why don't, we have already looked  
15 at it this morning, and I think that we'll just,  
16 it's only like five pages here. We can probably  
17 flip through now. They go on to the next page.  
18 Give everybody a minute to read each page.

19 We did make the corrections mentioned  
20 at the breakfast meeting for the sake of the HSRP  
21 members. There were a few corrections, we made  
22 that. And so we can flip through this. There,

1 okay, key performance indicators, tidal datums,  
2 questions including more graphics, particularly  
3 where it pertains to the PORTS system.

4 Acknowledge private sector more  
5 prominently. The IOOS Regional Associations are  
6 called out and the partnerships. There were  
7 quite a few comments highlighting, CO-OPS did a  
8 good job of highlighting the importance of  
9 partnerships going forward.

10 I think this group all commented on  
11 the fact that these partnerships should be front  
12 and center. And let's see. And communications  
13 as far as -- oh, maybe include a few sentences as  
14 far as the value of what that CO-OPS's products  
15 and services are. Go ahead.

16 And once again, partnerships in  
17 leveraging, give some details. And whether or  
18 not there wants to be just the mention of  
19 precision navigation or blue economy in there.  
20 Go ahead. We thought it needed to just be read  
21 through one more time to catch some editing and  
22 maybe synthesize a little bit better and improve

1 the flow.

2           There were a few grammar issues, there  
3 were a few confusing terms that were called out.  
4 Go ahead. Maybe a comment as far as placing this  
5 document in the NOAA Strategic Plan. What is the  
6 role there as far as how does it support that?

7           Once again, the last one up there is  
8 talking about partnerships and NOAA priorities.  
9 Okay. Oh, there will be a followup  
10 implementation plan produced through CO-OPS, and  
11 a question came up about whether or not we will  
12 have a chance to review that as well.

13           And then very specific, the next  
14 couple pages drill down, this plan actually  
15 highlights some goals and sections.

16           And this comment really responds to  
17 the question that it sounded pretty expensive,  
18 frankly, to fulfill a lot of what was being put  
19 forth in this particular section. And we just  
20 wanted to see if that was really realistic, and  
21 maybe some more details on that.

22           Once again, encourage these

1 partnerships, both at the federal and the  
2 regional area. There's models that are being  
3 done at NCEP, CO-OPS, other federal agencies, and  
4 at the regional level. And it seems like  
5 sometimes that these different efforts aren't  
6 really coordinated well.

7 This, Goal 2, Objective 2.1, was to  
8 give a little bit more explanation on this  
9 implemented data-driven system. I've already  
10 talked to Rich about that, he's totally on board  
11 with detailing that out.

12 Expanding coastal observations. This  
13 I already mentioned. You know, realistically,  
14 what can be done with coastal observations in the  
15 near future with our funding climate. Goal 2,  
16 Object 2.4, was, once again, and this I think  
17 pertained to modeling.

18 And maybe give some more detail there  
19 and particularly we wanted to include the word  
20 "validation" so we could make sure that that was  
21 included in any planning for models going  
22 forward. Which might be assumed, but we wanted



1 to highlight that.

2 And I believe that is all. That was  
3 the last page, thank you. And so first of all, I  
4 think we, if there's any public comments on this.  
5 Sorry, I went through it rather quickly. I have  
6 a hard copy of these if anyone wants to go back.

7 We need -- we just have to air it in  
8 public, we don't need public comments. I know  
9 we need to go around here, okay.

10 And then we do need concurrence from  
11 the Panel that we can submit these comments along  
12 with our letter to the Administrator. Anyone  
13 have any objections? Okay.

14 MEMBER PAGE: Can I add one thing  
15 here.

16 MEMBER THOMAS: Of course. Done, no,  
17 go ahead.

18 MEMBER PAGE: It has nothing to do  
19 with beer, by the way, so. For once. I think  
20 that in my look at this document, I really wasn't  
21 sure what it was designed for, what the audience  
22 was, whether it was going to be a public

1 presentation, whatever. But it's your mission  
2 statement on the website.

3 And so I hope that, you know, the CO-  
4 OP folks realize this is, at least from my  
5 perspective, this is just some other candid,  
6 frank perceptions of the data and how maybe you  
7 could present this differently.

8 But I would not be offended at all if  
9 they didn't take any of this stuff and didn't  
10 incorporate it, you know. It's really just,  
11 they're asking for fresh perspective, someone  
12 else. And not being right in the fore, but this  
13 outside looking in.

14 And that I just saw it as a fresh  
15 perspective saying, maybe it'd be clearer if a  
16 diagram or a graphic or whatever. But then maybe  
17 it's not even suited for what you're trying to do  
18 there. But I don't think there's anything wrong  
19 in that.

20 I didn't see anything wrong or  
21 upsetting, it was just a matter of maybe this  
22 could be told a little clearer, more clearly, or

1 maybe it was a little too repetitive in some  
2 areas and not succinct enough and what have you.

3 So I hope that seen in that light, I  
4 hope that our the HSRP Panel sees that also, that  
5 this is really kind of candid, frank. Been  
6 looking at this, this is how we see it.

7 MEMBER THOMAS: Right, these are  
8 suggestions.

9 MEMBER PAGE: You may or may not use  
10 it, you know. It's just suggestions. And if you  
11 use two or three of those comments incorporated,  
12 I think I'd be thrilled and it was a worthwhile  
13 process. But there is no obligation or no  
14 expectation, in my mind anyway. I hope that's  
15 the thoughts of others.

16 MEMBER HALL: This is Kim Hall. I  
17 would just say that I think we have two of our  
18 newer Panel members who, this may be the first  
19 time we've done this with you two. I think we  
20 tend to have Rich and Juliana and Shep, you know,  
21 those three definitely take our comments on  
22 board. So I think we should take it very

1 seriously.

2           It should be like well, if you take  
3 it, don't. I think that they really do  
4 appreciate what we do, and so if you're asking  
5 for Panel members to play and we're not  
6 necessarily telling you what to do, I think it's  
7 important that we are engaged and are providing  
8 comments when asked.

9           I thought this exercise was really  
10 good because I felt I was actually helping. I  
11 appreciate these meetings and getting the  
12 information that we get, but sometimes I'm not  
13 sure I'm being effective or actually have a, from  
14 our Review Panel, we are a Review Panel, not just  
15 a committee, perspective.

16           So I think it's really important, as  
17 much as I agree with Ed with a take it with a  
18 grain of salt where you need to, I really do  
19 think that a lot of us put some effort into this  
20 and would appreciate you taking them seriously.  
21 And I think you do, but I want to put that out  
22 there. Thanks.

1                   MEMBER THOMAS: I think you guys do.  
2 All right, well, I think we did have concurrence  
3 then. I didn't see any objections. So I think  
4 thank you all very much. And I really do  
5 appreciate all the comments, even the late last  
6 night ones. So, glad we got them in there. And  
7 thanks, again, Rich.

8                   CHAIR MILLER: I think we have  
9 concurrence. Okay, I would also say we could use  
10 feedback from Rich to the Panel if our comments  
11 were helpful or how they might have been more  
12 helpful.

13                  MR. EDWING: No, these have been very  
14 helpful. It's probably the most diverse set of  
15 comments I've gotten, not surprisingly, given the  
16 diversity of, you know, disciplines and expertise  
17 around this table.

18                  I mean, we are taking these comments  
19 and putting them together with many other  
20 comments we've gotten from other NOS Program  
21 Offices, from the Weather Service, from other  
22 people we've gone out to. So then we have to

1 work through all those and adjudicate.

2 So I will say, I can't say everything  
3 in here will get in, a lot of this was very good.  
4 And I know we'll be taking a lot of these  
5 comments and incorporating them.

6 You know, and getting to Ed's comment  
7 about the audience, this really is, you can't  
8 satisfy all audiences, right. And this plan in  
9 particular, we kept it short and focused, because  
10 we're really going to use it as a tool to set  
11 internal priorities and then resource those and  
12 get some, a more limited set of things done.

13 We didn't try to describe everything  
14 we do, at least in those strategic objectives,  
15 because we can't make everything a priority. If  
16 everything's a priority, then nothing's a  
17 priority, right.

18 So it really is a little bit more of  
19 an internal document, but we did try to add other  
20 things that could help, you know. Because we do  
21 want to make it public and share it. And you  
22 know, and have people understand as well.

1           And I am hoping to be able to share  
2           the implementation plan. Right now, we're kind  
3           of focused on getting our FY19, you know, items  
4           lined up, because we're in the middle of our FY19  
5           planning. But kind of right after that, we'll  
6           try to put up like a five-year, you know,  
7           implementation plan.

8           And that's what I would hope to share  
9           with the Panel and others. So anyway, I very  
10          much appreciate the comments, and we do take them  
11          seriously, again, so.

12          CHAIR MILLER: Okay, thank you. One  
13          thing that has been brought to my attention, and  
14          I apologize for forgetting, I'd like to  
15          acknowledge the Rear Admiral Ken Barbor, who was  
16          a previous member of the HSRP, and he was head of  
17          the University of Southern Mississippi, I'm not  
18          sure of the exact name of the facility. But he  
19          passed away within the last few months. And just  
20          want to acknowledge his service to the HSRP, and  
21          that we lost a friend.

22          And there was a question, Lawson

1 Brigham, who has been a Panel member, was not  
2 able to attend this time because he had other  
3 obligations. He was our Arctic member in the  
4 past and has been, was a incredibly productive  
5 member of the Panel and a staunch advocate for  
6 the Arctic, for sure.

7 Was there another topic? Gary, did  
8 you have?

9 MEMBER THOMPSON: Just the one we  
10 talked about yesterday, to do an issue paper on  
11 the 2022 datum, more of a common person  
12 perspective of it, I guess.

13 CHAIR MILLER: Yes, I personally think  
14 that's a good idea.

15 MEMBER THOMAS: Can we do issue papers  
16 this afternoon?

17 CHAIR MILLER: Okay, oh, I'm sorry,  
18 wrong issue. I guess we're going to talk about  
19 the issue papers this afternoon a bit later. We  
20 do have a project that Gary is working on, and  
21 there is another Panel member.

22 We, every two years, we need to review



1 the HSRP charter, particularly in light of any  
2 legislation that has either taken effect or is  
3 process. And Gary, I believe you're going to  
4 lead that effort?

5 MEMBER THOMPSON: Yes.

6 CHAIR MILLER: Okay, that was  
7 succinct.

8 MEMBER THOMPSON: And as of right now,  
9 I've received no comments.

10 CHAIR MILLER: Is there anyone else  
11 working on it with you? Okay, all right, thank  
12 you. Okay, so now we're four minutes late, but  
13 we're going to break for lunch. I'll let the  
14 audience know that after lunch, as in your  
15 agendas, we have updates from I think it's seven  
16 of our NOAA support people on various NOAA  
17 projects and updates on their projects for  
18 Alaska, and in some cases for the overall U.S.

19 So that will be at one o'clock that we  
20 will reconvene.

21 (Whereupon, the above-entitled matter  
22 went off the record at 12:05 p.m. and resumed at

1 1:17 p.m.)

2 VICE CHAIR SAADE: We're going to do  
3 rapid fire here and I'm going to keep the clock  
4 at five minutes so every knows. And being that  
5 there is no moderator sitting up there, I'll go  
6 ahead and start with Nicole. Thanks.

7 DR. KINSMAN: So, I was recently  
8 afforded the opportunity to listen in to the  
9 Planning and Engagement working group's Q and A  
10 with our NSRS modernization manager. I heard a  
11 lot of different questions and very similar  
12 questions to what I get all the time here in the  
13 region.

14 One person might wonder, you know,  
15 this new geopotential datum, how's the official  
16 height of Denali going to change? It's going to  
17 be about three feet shorter we think.

18 Other people may just want to know  
19 how' the new State Plane Coordinate Zone System  
20 going to affect us, and we actually have policies  
21 and procedures at NGS to help you understand  
22 those and how we work with the states on that.

1                   Other people may just want to know  
2                   if the average recreational mariner even needs to  
3                   worry about all this stuff or if you can just  
4                   trust it to be taken care of and get on your way.  
5                   And yes. We're actually trying to make that  
6                   happen, too. We're totally trying to make that  
7                   happen, working really hard at it.

8                   So a modernized NSRS, modernized  
9                   National Spatial Reference System, is really just  
10                  another way of saying a more reliable, more  
11                  accurate and more accessible National Spatial  
12                  Reference System, one that's there when you need  
13                  it to be. And this is no different than what our  
14                  agency has done for more than 200 years, but it's  
15                  a little bit better. For example, we heard in  
16                  the public comment period about the importance of  
17                  connections between tidal datums and the NSRS,  
18                  and this requires closer coordination between NGS  
19                  and COOPS and also continued investment on the  
20                  observational backbones needed, both sides of  
21                  that equation, on the land and at sea. And on  
22                  the land, that means the establishment of a

1 Foundation CORS network.

2 So I'm talking about NSRS  
3 modernization and how we kind of want to pass it  
4 through a nice smooth transition. But I don't  
5 want to minimize the changes that are coming,  
6 because they are really big. It's a sea change  
7 and how we define positions in our nation. But  
8 we're not going to pull the rug out from  
9 underneath you. We're doing the exact opposite,  
10 in fact.

11 What we're doing is we're bracing the  
12 subfloor and we're trying to do so with as  
13 minimal disturbance as possible, and a lot of  
14 work is going into making sure that there is  
15 minimal disturbance there.

16 So for those of you that will be  
17 directly affected, NGS has many avenues for  
18 outreach. I probably don't need to tell you  
19 about those, though. I bet lots of you have  
20 already heard about those things in our quarterly  
21 NSRS modernization newsletter, or maybe you call  
22 into our monthly webinar where we answer

1 questions for people. We have more than 400  
2 people on average at those monthly webinars and  
3 maybe you guys don't all call into the webinars  
4 or subscribes to the newsletter.

5 But in addition to that, we've also  
6 been holding Geospatial Summits and Industry Days  
7 for the public and for our private sector  
8 partners. Our next Geospatial Summit is going to  
9 be in the spring of 2019. We've released  
10 blueprint documents for public review, and we  
11 maintain a really active presence at national  
12 professional and industry conferences.

13 So lastly, in terms of making sure  
14 that we're keeping the word out there about the  
15 changes that are coming, NGS has a fully staffed  
16 Regional Advisor program now, because we  
17 recognize that NSRS modernization preparedness in  
18 Alaska is different than in Arkansas.

19 This summer we released results of a  
20 study that estimated the economic benefits of  
21 this program to be between \$18.6 and \$38 million  
22 annually, so you're getting a really great bang

1 for your buck. There are 14 of us Regional  
2 Geodetic Advisors around the nation and what we  
3 are are subject matter experts that are available  
4 to answer your targeted regional-specific  
5 questions, and we really do a little bit of  
6 everything though.

7 So to give you a few examples of what  
8 I've done here in Alaska to promote NSRS  
9 modernization preparedness, I respond to  
10 questions in various capacities including as a  
11 technical advisor to state working groups; I meet  
12 with our NGS state coordinator, the State Chief  
13 Surveyor, Gwen Gervelis, monthly to stay abreast  
14 of state concerns and to stand up a task force to  
15 work on the state plane coordinate zone system  
16 modernization.

17 I work with and mentor students to  
18 advance geodetic literacy in the next generation.  
19 At the 2018 Alaska Surveying and Mapping  
20 Conference, we had a mini NSRS modernization  
21 summit. It was the most attended session at the  
22 conference. It had folks from BLM, Army Corps,

1 Park Service, private sector, and all three of  
2 our Departments of Transportation here in Alaska  
3 talking about the NSRS modernization and how  
4 that's going to impact work flows in our state  
5 and how we can be best prepared for it.

6 We do GPS on Benchmarks campaigns to  
7 support transformation, tool, and VDatum  
8 development. I provide a lot of outreach to  
9 headquarters with feedback about what's needed to  
10 guide appropriate NSRS modernization decisions  
11 and the new tools that are going to support the  
12 transition. And I coordinate across NOS,  
13 including collaborations with my Nav Manager  
14 here, and then over federal agencies as well to  
15 ensure that all of our changes are occurring in  
16 lockstep with new changes that are coming in  
17 other places.

18 So to be frank, NSRS modernization  
19 will probably have limited impact on offshore  
20 maritime activities, but some things really will  
21 be affected quite a bit. For example, coastal  
22 maritime infrastructure will be -- will greatly

1 benefit from ease of GPS-based access and time-  
2 dependent reference frames that provide tools to  
3 better account for land motion and sea level  
4 change in engineering design.

5           And how will NSRS modernization  
6 directly affect each of you on the panel here and  
7 in this room? I can't actually answer that in  
8 five minutes but hopefully, the overview I've  
9 given you of the type of outreach we're doing at  
10 NGS and the tools and resources we have to get  
11 the word out gives you a little bit of a taste of  
12 how NGS is continually striving to not only  
13 improve the NSRS but to make sure that every  
14 stakeholder is prepared for the changes that are  
15 to come in 2022.

16           (Applause.)

17           VICE CHAIR SAADE: Thanks. That was  
18 Dr. Nicole Kinsman with NGS. So next, we've  
19 Laura McLaughlin with CO-OPs speaking on current  
20 surveys in Alaska. Currents surveys in Alaska.

21           MS. McLAUGHLIN: Thank you. So my  
22 name is Laura Rear McLaughlin and I am the



1 Mapping and Charting Program Manager at COOPS,  
2 and for five years, I did run the Currents  
3 program, so I'm happy to speak about it today.  
4 So for those of you that don't know, we've talked  
5 a lot about the National Water Level Observation  
6 Program, but we haven't really spoken too much  
7 this meeting about the National Current  
8 Observation Program, and that's called NCOP.

9 So Tides and Currents -- we are Tides  
10 and Currents. We're not just tides, so we'll  
11 talk today about the currents in Alaska. But we  
12 collect, analyze and distribute observations and  
13 predictions of currents. The program's goals are  
14 to ensure safe, efficient and environmentally  
15 sound maritime commerce and to support  
16 environmental needs such as HAZMAT response. The  
17 principal product generated by the NCOP program  
18 is information used to maintain and update the  
19 tidal current tables, and we deploy current  
20 meters annually to assist with those updates.

21 So COOPS spent about an entire decade  
22 updating tidal current predictions in Alaska from

1 2000 to 2010. We collected close to 200 stations  
2 worth of data in Cook Inlet and Southeast Alaska  
3 and all of those made it into the tidal current  
4 tables. In 2007, COOPS deployed 47 stations in  
5 Prince William Sound. In 2008, we deployed 51  
6 more stations in Southeast Alaska and 2 in Cook  
7 Inlet, specifically to obtain a more accurate  
8 prediction for the docking of oil tankers at  
9 DeSoto Pier. In 2009, COOPS deployed 44 stations  
10 around Kodiak Island. In 2010, COOPS completed a  
11 detailed study of Glacier Bay and across sound  
12 Alaska with 10 current meters and deployed 24  
13 stations around Unimak Pass to capture one of the  
14 most dynamic shipping channels in the world.

15 In 2012, we were funded by the Alaska  
16 Energy Authority to conduct a study of Cook Inlet  
17 to support a model being developed to identify  
18 key areas for tidal kinetic energy. We deployed  
19 nine more stations in Cook Inlet that year in  
20 support of that study. Looking ahead -- and  
21 actually, that study created the model that's  
22 going to be the basis for the new Cook Inlet OFS,

1 the Operational Forecast System model, so that  
2 came out of that study.

3 Looking ahead, we're going to -- we're  
4 looking to partner on a circulation study of  
5 Kachemak Bay with NOAA's Kasitsna Bay Lab, and  
6 we're hoping that we can deploy those meters next  
7 fiscal year. We plan to deploy another current  
8 meter to update the predictions at North Indian  
9 Pass and we heard Captain Hans Antonsen mention  
10 that yesterday or the day before I think it was.

11 So just to talk about that a little  
12 bit, that station was originally based on 100  
13 days of data at Hoonah in 1901. In 2008 -- I  
14 talked about it earlier -- we deployed stations  
15 in North Indian Pass and we wanted to move that  
16 station to be the Reference Station but  
17 unfortunately, the meter there didn't collect  
18 proper data, so we weren't able to move the  
19 station quite yet.

20 In 2010, we went back out and  
21 collected two -- we put two meters out and  
22 collected data again to try to update those --

1 the station at North Indian Pass. We did. We  
2 collected it but the shallowest that we could  
3 reach was 100 feet. We received comments that  
4 that was too deep and that it didn't satisfy what  
5 the pilots needed in order to transit that area.  
6 And just so you're aware, 30 stations are  
7 referenced to North Indian Pass so it's a pretty  
8 important station to make sure that we get right.

9 So in 2016, we went out and we had one  
10 of the pilots help us and deployed drifters at  
11 that station. And unfortunately, we couldn't  
12 really resolve the data because we weren't  
13 getting enough data. We were only getting it  
14 every 30 minutes. So we went back to the drawing  
15 board and COOPS redesigned how we deploy current  
16 meters. So next summer we're hoping to deploy  
17 what we're calling the elliptical buoy, and what  
18 it will do is it'll actually be sort of suspended  
19 higher up in the water column than what we've  
20 been previously able to reach. And we're hoping  
21 that we'll be able to reach that, the surface --  
22 hopefully.

1                   So hopefully, we'll get this North  
2 Indian Pass thing resolved with our deployment  
3 next year. So -- but we'll have to figure that  
4 out, you know, with the data that were collected.  
5 And then our last effort that we have on the  
6 calendar right now is hoping to deploy in  
7 Aleutian Passes in FY '23.

8                   So you can see we've been quite busy  
9 in Alaska over the last almost 20 years actually,  
10 so. And I just wanted to point that in Western  
11 Alaska Region, there's about 70 entries in the  
12 tidal current tables, so it's not that many.  
13 Just heard me talk about how we've done over 200  
14 in the Southeast Alaska area alone. But -- and  
15 most of those Western Alaska Region are the ones  
16 from our deployment that we did in Unimak Pass.  
17 So we're hoping that, you know, in the future,  
18 we'll be able to come up to Northwest portion of  
19 Alaska and deploy there, but it'll take some time  
20 to be able to do that. Thank you.

21                   (Applause.)

22                   VICE CHAIR SAADE: Thanks, Laura.

1 Next is Captain Rick Brennan talking about the  
2 OCS Mapping Plan.

3 CAPT BRENNAN: Good afternoon. So  
4 Admiral Smith has commissioned an ocean mapping  
5 strategy to be drafted, and so we have been  
6 working on that for the past probably eight  
7 months, I think, in earnest in gathering  
8 information and data to support that. And so at  
9 this point, this is just an early brief out on  
10 our progress on that, and I think our intent is  
11 to be able to, by the next HSRP, provide a draft  
12 that you can -- that the Board can review, at  
13 least for initial comments on that before it goes  
14 for public comment.

15 And so I guess just to outline the  
16 document briefly, it has -- there are two main  
17 sections. The first are the focus areas that we  
18 intend to target our survey work in, and those  
19 three are basically maintaining our maritime  
20 highways, which is our core competency and our  
21 core mission as it stands today. And so that's  
22 our ports, harbors, fairways, anchorages,

1 approaches, et cetera, both primarily the in-  
2 shore portion of that but as well as the offshore  
3 approaches.

4 The next area is reducing our charted  
5 uncertainty and chart uncertainties, or chart  
6 discrepancies and so I think perhaps in this  
7 community, when we say chart discrepancies,  
8 that's maybe a well-known entity, I think,  
9 outside of our community and certainly outside of  
10 the very small charting community, a chart  
11 discrepancy has -- means something different.

12 But I think from our standpoint, to  
13 clarify what that means, that is basically  
14 anything that has some sort of, you know, an  
15 inaccurate position on it. So if you look at our  
16 charts, you'll see a wreck PA, which is a wreck  
17 position approximate; or an obstruction ED, which  
18 is an existence doubtful. And so all of those  
19 things -- or perhaps areas where shoreline is un-  
20 -- you know, does not match the chart as was  
21 discussed this week. And so trying to go through  
22 and eradicate all of those things from the chart

1 is the second focus area.

2 And then in response to Seabed 2030,  
3 the third focus area is really going to be on  
4 collaborative mapping. So how can we use our  
5 expertise and resources that we have to further  
6 map our exclusive economic zone. And I will talk  
7 a little bit about the statistics for that in  
8 just a second.

9 The second portion of the document  
10 really gets into our execution strategy on how we  
11 intend to do that. So I think first is executing  
12 on clear priorities, and so we have been working  
13 -- and I think this panel has been briefed at one  
14 point or another -- on the Hydro Health Model,  
15 bringing that to completion. The NEEA study, as  
16 Ashley has briefed on before, is also critical to  
17 that whole effort so that, really, where we go  
18 and what we do can be traced back to a clear  
19 priority to the nation to map that area.

20 The second is basically expanding the  
21 coalition or the collaborations in moving towards  
22 coalition, and that is really the coalition to



1 fully map our EEZ and why a coalition is  
2 necessary I hope will be clear once I show you  
3 the next slide.

4 And then finally, is leveraging the  
5 technology, and I think we've talked a lot about  
6 technology, and we'll see why we're going to have  
7 to seriously leverage it. So I could get the  
8 next slide? There you go.

9 So this is just to slice up the EEZ so  
10 you have a clear understanding of what we have to  
11 deal with. So on the left is a graph that shows  
12 the unmapped square nautical miles that we have  
13 within the EEZ, and you'll notice that the  
14 Atlantic and Alaska have the largest chunk of  
15 that. So 38 percent of that unmapped area sits  
16 here in Alaska and so square nautical miles is  
17 great, but as some people like to perhaps hide in  
18 the numbers, what really counts is the linear  
19 nautical miles that it's going to take to get  
20 that surveyed.

21 It's much easier to survey in the  
22 deeper water because you get a much wider swath.

1 And as we saw with the survey that Joyce was  
2 showing us, she was able to get in one leg or  
3 several legs what it might take us an entire  
4 field season to get in the shallow water. So  
5 depth is critical in this. So when you look at  
6 the level of effort as equated to linear nautical  
7 miles, you see that Alaska is going to take 44  
8 percent of the level of effort just to get that,  
9 and 46 percent lies in the Atlantic and Gulf of  
10 Mexico. I have the power to change slides now?  
11 That's a little blurry when it's that big.

12 So if we break it down by depth and  
13 calling deep water everything deeper than 1,000  
14 meters, which isn't really deep and we can get  
15 into an academic discussion about where is the  
16 boundary between deep and shallow, but I have the  
17 power of the pen so I arbitrarily drew it at  
18 1,000 meters. And so in that case, if you have  
19 2,000 -- or sorry, 2 million -- nominally 2  
20 million square nautical miles of unmapped area,  
21 two-thirds of that, almost exactly, is deep water  
22 within our EEZ right now. One-third is shallow

1 water, so one-third is shallower than 1,000  
2 meters.

3           When you look at the level of effort,  
4 which is the graph on the right, you can see that  
5 99 percent of the level of effort is going to be  
6 getting that shallow water done. And by our  
7 estimates right now, I think we've got just a  
8 little over 10 ship years of work in the deep  
9 water area to get that completed.

10           So to be clear, when the Admiral  
11 tasked me to do this report and we were trying to  
12 figure out how we would do this to support Seabed  
13 2030, you know, I was like, yeah, let's come up  
14 with a plan. We're going to have a plan to map  
15 the entire EEZ, you know, by 2030. Let's do  
16 that. And then when we started peeling back the  
17 layers and looking at the numbers, and we  
18 realized that that is really -- that is a very  
19 tall order. And it's almost to the point of  
20 impossible.

21           And so I think -- I think particularly  
22 if we start adding in the shallow water works.

1 So the only way I think that we're going to get  
2 to that -- because to get that deep water -- or  
3 shallow water work done, we're talking about  
4 needing somewhere on the order of 400 ship years  
5 of work to do -- we're going to have to add more  
6 ships, more platforms, more sensors out there  
7 observing to get that covered in any --

8 VICE CHAIR SAADE: One minute.

9 CAPT BRENNAN: -- realistic and  
10 meaningful way so.

11 VICE CHAIR SAADE: And more  
12 contractors, I guess?

13 CAPT BRENNAN: Absolutely. More of  
14 everything so I'll leave it there. I'll --

15 VICE CHAIR SAADE: Thanks, Rick.

16 Okay. Next is Captain Liz Kretovic, I'm sorry  
17 about that. OCS again with Precision Navigation.

18 CAPT KRETOVIC: Hi. Good afternoon.

19 Liz Kretovic and during the Miami meeting,  
20 Captain Brennan gave you a briefing about  
21 precision navigation. And so I'm not going to go  
22 into the nuts and bolts of what precision

1 navigation is considering that you are already  
2 familiar with it. But what I want to do is just  
3 give you an update to where we are with precision  
4 nav today.

5 So when we -- shortly after leaving  
6 that meeting in Miami, I was named as the program  
7 manager for precision nav and quickly had to  
8 stand up a team to be dedicated to supporting  
9 this effort across the Foundation for Offices and  
10 a member from Weather Service. So we have a  
11 dedicated requirements coordinator and a  
12 dedicated dissemination manager. We also have an  
13 announcement out on the street to hire a  
14 developer under a contract with UCAR.

15 This weekend, we're going to begin a  
16 resurvey operation in Long Beach as part of our  
17 commitment to the precision navigation project  
18 that we have there. We'll be using the launches  
19 off of NOAA Ship Rainier as the ship is  
20 conducting shipboard survey operations off the  
21 coast of Southern California.

22 We're also in the process of letting

1 a contract for a socioeconomic study that will  
2 help us answer the nail-on questions that we get  
3 all the time, such as what are the benefits of a  
4 precision navigation program, as well as what's  
5 the return on investment for a specific port? We  
6 have upcoming projects in both the lower  
7 Mississippi River complex and currently, there is  
8 a contract that just got underway this month to  
9 begin surveying noll-to-nall which is the two  
10 meter --

11 CAPT BRENNAN: So proud of you.

12 CAPT KRETOVIC: -- thank you -- bank-  
13 to-bank full-coverage multi-beam survey from the  
14 Heads of pass all the way up to Baton Rouge.  
15 That's -- we're also in the process -- back in  
16 2016, we conducted a pretty heavy stakeholder  
17 engagement process in the lower Mississippi, and  
18 right now we're conducting a gap analysis to  
19 identify things that may be needed in addition to  
20 ensure that we have everything in place to  
21 conduct a full-blown precision nav project in the  
22 lower Mississippi River complex.

1                   Next week, I'm going to New York to  
2 attend the Harbor Safety Steering Committee  
3 meeting to identify requirements for New York/New  
4 Jersey so we can continue to get that project  
5 rolling. Recently, we've been contacted by four  
6 additional ports to start the conversation about  
7 precision navigation, so this thing is coming  
8 like an avalanche down upon us, and we're trying  
9 to move out as quickly as we can to make this  
10 program become something. A happy avalanche,  
11 yes, not a bad avalanche. It's a good avalanche.

12                   I guess there's an analogy that  
13 Admiral Smith has said where Nav Services are the  
14 cake and precision navigation is like the  
15 frosting on top of that cake. I am a person who  
16 loves frosting so I'm really excited about this  
17 program. And as you can see, we have a lot going  
18 on. Thank you.

19                   VICE CHAIR SAADE: Thanks, Liz. Okay.  
20 Next we've got -- I'm going to do my best --  
21 Neeraj Saraf also with OCS, CSDL autonomous and  
22 unmanned vessels. Thanks.

1           MR. SARAF: Thank you. And so  
2 actually -- so right now I am the Acting Chief of  
3 what we call the Coast Survey Development Lab,  
4 and so I have to say my official role is IT Chief  
5 for Office of Coast Survey, so I'm actually --  
6 given the conversation before lunch, I'm actually  
7 very happy I don't have to speak about that  
8 today.

9           (Laughter.)

10          MR. SARAF: But what I will talk to  
11 you about is autonomous vessels here. So over  
12 the past several years dating back to about 2010,  
13 the Office of Coast Survey, through CSDL, has  
14 been involved in analyzing, prototyping and  
15 testing out various autonomous technologies and  
16 strategies to see how we could make use of that.  
17 So the goal has generally been to see what that  
18 technology can do for us, specifically towards  
19 charting; can we add, you know, features to the  
20 charts, collecting more types of data more  
21 efficiently but also accessing areas that can't  
22 be reached by ships today. And so that's a key



1 here. And also, the automation will help us do  
2 it as, again, as effectively and efficiently as  
3 possible to support our operation, so we're  
4 excited about that.

5           So through the years, there was  
6 extensive on the underwater vehicles and an  
7 example of that was REMUS 600. Kind of at the  
8 end of that evaluation, it was pretty clear that,  
9 again, for the goals that I stated, it probably  
10 could be best used -- best done by ASVs, so  
11 surface vehicles, and so that's kind of been the  
12 focus now. So some things we've worked with in  
13 the past and they're still being used in some  
14 forms are Z-Boats, echo boats, and as Dr. Mayer  
15 mentioned yesterday, the ASV Global C-Worker IV I  
16 believe they are using. So we've also used the  
17 Version V as well. So we're engaging with those  
18 things but also with some other technology  
19 providers such as Sairdrone and ixblue which I'll  
20 expand on a bit.

21           So there are several projects that  
22 we've been working on and continue to work on

1       towards these goals. One, again, is the work that  
2       UNH has done this summer, in fact, here in Alaska  
3       with the C-Worker IV, so our staff along with  
4       folks from UNH deployed that and hoping to  
5       explore more operational methods, develop more  
6       shipboard experience with that as that deployment  
7       went very well. So we're looking forward to more  
8       like that.

9                 With NOAA PMEL, so Pacific Marine Lab  
10       in Seattle, based in Seattle, we actually latched  
11       on to a Sairdrone mission they had this some in  
12       the Chukchi Sea, and so that's actually underway  
13       right now. It's gone very well. We threw in  
14       some data points just to see what comes out of  
15       that in terms of Coast Survey goals and  
16       objectives. And so -- across NOAA, though,  
17       there's fisheries and others who have interest in  
18       that mission, so we're very excited again to see  
19       how that ends up here after this summer.

20                So a couple of other things we're  
21       doing is -- so USM, so University of Southern  
22       Mississippi, there's been a cooperative

1 agreement, this is the third or fourth year now,  
2 for Fiscal Year '19, so the government Fiscal  
3 Year where we're looking at, again, Saildrone as  
4 a test bed for USM to see where that can go. For  
5 them, that's actually pretty important because  
6 they try to acquire a C-Worker through their  
7 procurement process and had issues. So I think  
8 this actually will help kick-start things a  
9 little better for that effort.

10 And two more things; our launch  
11 conversation, so our team is also heavily  
12 involved in -- so outfitting NOAA ships with  
13 these vessels. So there's one project currently  
14 active and another one planned for Fiscal Year  
15 '19.

16 And then another exciting thing that  
17 we're starting to look at here is an aerial drone  
18 and how we can integrate that, so with the --  
19 actually, the work that NGS has done through the  
20 years with that with a slightly different kind of  
21 angle to it. I think our goal eventually is to  
22 test these out and have these outfitted on on

1 NOAA ships to aid in data collection. So we're  
2 actually very excited about that, but thanks,  
3 NGS, for paving the way for us on that.

4 So Saildrone has kind have been a very  
5 interesting model for this. So really, how  
6 they're talking about it, and I did visit them a  
7 few weeks ago in their production facility in  
8 Alameda, California, so where they -- they've  
9 done a lot of great stuff from the ground up in  
10 building this data as a service model. So we've  
11 heard of -- in terms of cloud, we hear of, you  
12 know, infrastructure is a service, so they've  
13 kind of coined their own unofficial term as data  
14 as a service.

15 So the really interesting thing here  
16 is so an agency like NOAA doesn't have to acquire  
17 and manage and, you know, be accountable for the  
18 property, and so the actual vessel is built by  
19 Saildrone, it's maintained by them, they're the  
20 experts on it; it's outfitted with instruments  
21 and based on the data you need. So you provide  
22 them your requirements. You get the data. You

1 don't know how they're doing it. You kind of  
2 have an idea how they're doing it but you don't  
3 really have to manage it, which a great thing in  
4 terms of infrastructure and kind of that tie to  
5 IT, too. I love that, of not having to worry  
6 about the actual vessel. So that's really  
7 exciting and so it's just getting bigger from  
8 there.

9           There's a much larger vessel that Dr.  
10 Mayer mentioned yesterday as well, that we're  
11 really excited to see those possibilities as  
12 well.

13           So some key takeaways regarding this  
14 area; it's, again, a very exciting area. As my  
15 team likes to say, you know, robot boats, right;  
16 everybody loves robots and it's cool, it's cool  
17 stuff. So -- but we're still a long way from  
18 replacing the people. So they're still the  
19 element of you still need a crew, you still need  
20 expertise to manage these and make sure they work  
21 as effectively as they can. They don't have the  
22 intelligence yet to go off on their own and do

1 it, although we're getting closer, so every day  
2 we're getting closer on that.

3           However, there are, you know, the risk  
4 or the concerns of folks not being able to do the  
5 things they love isn't really there. You know,  
6 there's lots of opportunity to work with those  
7 devices to make things more effective and  
8 efficient.

9           VICE CHAIR SAADE: One -- one minute.

10           MR. SARAF: Thank you. So again, the  
11 future is really bright. And so another thing I  
12 was going to touch on is environmental  
13 compliance. So, again, we heard a little bit  
14 today as well about, you know, the impact on  
15 marine life and lively -- you know, food supplies  
16 for folks, such as in the Arctic. So  
17 environmental compliance is a big piece of this.  
18 And so we, for everything we do with it, we have  
19 to comply with federal requirements on  
20 environmental compliance, and so we do a full  
21 review of those as we do these efforts. So  
22 again, we're certainly looking forward to

1 continuing this effort and, you know, it's a  
2 growing area that's going to really be beneficial  
3 to the industry going forward. Thank you.

4 (Applause.)

5 VICE CHAIR SAADE: Thanks, Neeraj.  
6 Next will be Mr. Colby Harmon, OCS MCD rescheming  
7 ENC coverage in Alaska.

8 MR. HARMON: Okay. So as you know,  
9 NOAA has two principal nautical chart products, a  
10 suite of over 1,000 paper nautical charts also  
11 distributed as digital raster nautical charts,  
12 and a suite of 1,236 vector electronic  
13 navigational charts, or ENCs.

14 As of last month, all passenger ships  
15 over 500 gross tons and most tankers and cargo  
16 ships over 3,000 gross tons on international  
17 voyages are required to use ENCs within ECDIS.  
18 Also, last year the U.S. Coast Guard authorized  
19 the use of ENCs for commercial vessels on  
20 domestic voyages without the additional carriage  
21 requirement for paper charts. Thus, NOAA now  
22 considers ENCs its primary nautical chart

1 product. This is often described as an ENC first  
2 strategy. New sources compiled for application  
3 to ENCs first and new chart coverage is now  
4 always produced as ENCs, sometimes exclusively as  
5 ENCs without any corresponding raster chart  
6 coverage to follow.

7 Another aspect of making ENC first is  
8 a plan to rescheme and improve the quality of the  
9 entire ENC product. The current suite comprises  
10 over 1,200 irregularly-shaped ENC cells compiled  
11 in over 130 different scales. This is a legacy  
12 of the paper charts from which ENCs were  
13 originally derived starting in the 1990s. That's  
14 what's displayed in front of us here.

15 The new ENC scheme has a standardized  
16 regular gridded layout in which larger scales fit  
17 neatly into the footprints of the next smaller  
18 scale cells. The number of compilation scales  
19 has also been reduced to 12, two for each of the  
20 6 standard ENC usage bands. The first ENC  
21 coverage to be converted to the new scheme will  
22 be smaller scale cells which are the same or



1 nearly the same as the one -- as one of the dozen  
2 new standard ENC scales in the scheme. Other  
3 ENCs which will require recompilation and new  
4 usually larger scales will follow.

5 In Alaska, work on smaller general-  
6 scale ENCs in the Chukchi Sea has already begun.  
7 Larger harbor and approach scale ENCs in Etolin  
8 Strait, the Shumagin Islands, and Southeast  
9 Alaska will come next.

10 The reschemed suite will ultimately  
11 have 9,000 ENC cells when fully implemented. I  
12 believe there was something in the paper about  
13 maybe taken 10 years this morning. In keeping  
14 with ENC first strategy, the need for improved  
15 chart coverage in Alaska will be met by creating  
16 new larger scale ENC coverage. The plans for new  
17 paper nautical charts first proposed in the U.S.  
18 Arctic Charting Plan in 2011 have been superseded  
19 by the NOAA's effort to rescheme the entire ENC  
20 suite; that is, the improved chart coverage  
21 described in the Arctic Charting Plan will be  
22 manifested through the creation of new ENC cells,

1 not new paper nautical charts.

2 The conversion to new ENC scheme is  
3 providing opportunities to make several  
4 improvements to the ENCs such as delivering  
5 larger scale coverage in many areas, soundings  
6 and depth contours will also be recompiled in  
7 whole integer metric units, and inconsistencies  
8 among adjacent ENCs, such as sudden changes in  
9 depth contouring intervals will be resolved.

10 The new scheme will also support  
11 customized chart products such as the new web-  
12 based NOAA custom chart application which can  
13 generate a user-defined raster product directly  
14 from the NOAA ENC database for a customer to  
15 print. NOAA is eager to dig into the rescheming  
16 effort which is only just starting. Although the  
17 project is expected to take several years to  
18 complete, we are confident that users will start  
19 to see benefits of the new ENC scheme soon.

20 Thank you.

21 (Applause.)

22 VICE CHAIR SAADE: Thanks, Colby. And

1 next will be Ashley Chappell with OCS, 3D  
2 National Elevation Requirements and Benefits  
3 Study, and then we'll do questions for everyone  
4 for after that. Thanks, Ashley.

5 MS. CHAPPELL: Okay. Thanks, Ed. The  
6 3D National Elevation Requirements and Benefits  
7 Study, I think I briefed you guys on this just as  
8 we were getting started at the Portsmouth  
9 meeting; is that right, Dave? Didn't we go brief  
10 on this issue then?

11 (No response.)

12 MS. CHAPPELL: So since then, I've  
13 communicated with you through emails from Lynne  
14 about where the study stands. This is the  
15 Requirements and Benefits Study looking at how  
16 elevation data, land and sea, if you will, the  
17 requirements for that and where people need it  
18 and why they need and hopefully, information on  
19 how valuable it is to them.

20 This is a project shared with USGS.  
21 NOAA and USGS are partnering on this survey and  
22 analysis with the support of Dewberry as the

1 contractor on it. And you also see the logo for  
2 the Interagency Working Group on Ocean and  
3 Coastal Mapping, which is my interagency team and  
4 the 3D Elevation program. So we have all of  
5 these agencies that are interested in this  
6 information.

7 It follows on the -- just a quick  
8 reminder because Rick mentioned the NEEA study.  
9 In case that didn't trigger any memories, the  
10 National Enhanced Elevation Assessment was the  
11 study that USGS did for terrestrial lidar, topo  
12 lidar back in the 2010-2012 era. And this is the  
13 follow-on that incorporates ocean and coastal  
14 into that elevation data.

15 The goal of the study is to understand  
16 how 3D elevation data is needed, as I said, and  
17 how they dovetail specifically in the coastal  
18 zone, so basically just said that, how they  
19 dovetail in the coastal zone. We're looking at  
20 inland, near shore, and offshore bathymetric data  
21 requirements as well as terrestrial, you know,  
22 topographic requirements. And we're taking a

1 sensor agnostic approach just as a reminder. No,  
2 we're not asking people to think about the  
3 technology that can give them the data they need.  
4 We just want to hear what type of data they need,  
5 what accuracy, that kind of thing. So we're not  
6 getting into more than that.

7 The study was -- the survey was  
8 approved by OMB in the spring. It took a lot  
9 longer than we thought but I think it was an  
10 enhanced product after that OMB assessment. I'm  
11 willing to say that in public. We released the  
12 questionnaire. You all are probably well-aware  
13 of that. You may have run across it in several  
14 avenues.

15 That data collection phase has been  
16 happening. We had an initial six-week release.  
17 Actually, we've learned something releasing a  
18 survey in the spring into summer is not a good  
19 time to release a survey, so we've given some  
20 extensions because of not just vacations, as you  
21 might think, but this is -- summer is the field  
22 season; you know, people are out.

1           So we've gotten a lot of responses so  
2 far. I think we're up to almost 900 survey  
3 responses. We're going through the ones we have  
4 to make sure that we're getting responses from  
5 all the different sectors and interest areas that  
6 we need. We've sent it to federal agencies'  
7 states who've told us to whom in the state to  
8 send it, private sector, not-for-profit,  
9 academia, so we really, you know, have a broad  
10 reach.

11           We're in this pink phase of data  
12 validation now as we're kind of wrapping up the  
13 survey phase. We're looking at what data we  
14 have, what kinds of questions we want to ask the  
15 people who have responded. We'll be setting up  
16 sort of validation meetings and workshops to make  
17 sure that we understand what the respondents are  
18 trying to tell us about their data needs. So  
19 that validation phase will happen.

20           We move then into sort of aggregating  
21 all of those benefits together and the final  
22 report phase. And then the part I'm really

1 counting on is the program scenario phase, which  
2 is where the -- with the analysis, we determine  
3 kind of what is the -- what are the different  
4 possible scenarios for collecting and providing  
5 elevation data to users. And, you know, it might  
6 not be that everybody -- that we can afford to do  
7 the best everywhere or we go to the bottom rung  
8 and provide that.

9           You know, hopefully, there are some  
10 different scenarios about where the -- you know,  
11 the sort of sweet spot for cost and benefit is  
12 with that return on investment question. So that  
13 will happen at the end. We're looking at end of  
14 2019, 2020 for that, but I'm sure I'll be  
15 updating you on the progress well before then.

16           And I think that's all I have. These  
17 slides were in your packet. This is, you know,  
18 what the workshop interview -- oh, we don't need  
19 to get into this.

20           Just a quick sample of kind of how  
21 we're dealing with confirming responses from the  
22 different entities that we've sent the survey to.

1 So not to say green is good, pink is bad so much.  
2 It's just informational of who responded and who  
3 has as yet hasn't. A pink response isn't  
4 necessarily a negative. It may be that they have  
5 interacted with us to say their interests are  
6 covered by another entity and that kind of thing.  
7 So don't think of them as slackers by any means.  
8 And this is all in your packet just as background  
9 so there you are, the latest and greatest on the  
10 3D Nation study.

11 (Applause.)

12 VICE CHAIR SAADE: Okay. We're going  
13 to keep going here. So any questions for the  
14 panel here from anyone? You.

15 MEMBER THOMAS: Laura, on those  
16 currents that you're putting out, does HF radar  
17 help you at all, this just having the surface  
18 currents? Or do you really need profile  
19 currents? Or is it too far offshore?

20 It's too far off shore?

21 MS. McLAUGHLIN: I don't think that  
22 there is a spot for HF radar in that region. I



1 think there are too many mountains probably, and  
2 I think that it's too far offshore where the  
3 location is.

4 MEMBER THOMAS: Right. I know that  
5 Molly had to leave this afternoon, but I think  
6 she's getting some money for HF radar through  
7 AOS this year. And so I was just wondering if  
8 they would be helpful to coordinate locations.

9 MS. McLAUGHLIN: Yes. I'll touch base  
10 with her to see where they're putting them in --

11 MEMBER THOMAS: Yes.

12 MS. McLAUGHLIN: -- but we'll check  
13 with Molly.

14 MEMBER THOMAS: Okay. Thanks.

15 MEMBER KELLY: Ed Kelly. Liz,  
16 precision navigation is turning into the flavor  
17 of the month. You mentioned New York. You've  
18 got LA you're following up on and four other  
19 ports. Is there going to be some type of way to  
20 evaluate which projects get done first, because I  
21 can imagine every port's going to want to start  
22 getting involved -- or rather which one will be

1 second, assuming New York will be first.

2 MEMBER DUFFY: Excuse me.

3 (Laughter.)

4 CAPT KRETOVIC: My money's on -- I  
5 want to see you two arm wrestle. No, I'm just  
6 kidding. I think part of it -- it's really hard  
7 to answer your question. I think both of you,  
8 Lower Mississippi and New York-New Jersey are  
9 both in the queue and you are the first that  
10 we're working with. The socioeconomic study is  
11 going to help us determine where to go after  
12 that.

13 MEMBER THOMAS: -- coordinate  
14 locations.

15 MS. McLAUGHLIN: But we do have four  
16 people that have shown interest in something like  
17 this, and so I think as we progress, we'll try to  
18 get you finished first. You know, I don't know  
19 how to say like we'll have it all like done by a  
20 specific date or time. And Rick can add in a  
21 little bit, too.

22 CAPT BRENNAN: So to be clear, I mean

1 the data acquisition in New York is complete.  
2 That data is working its way towards application  
3 to the chart so, you know, I think as far as  
4 products for that, we'll see products for, you  
5 know, New York come out first.

6 The data acquisition on the  
7 Mississippi is currently underway and just  
8 started within weeks of this meeting, so that  
9 will be over the next year or so as those surveys  
10 get completed and processed and applied and we're  
11 able to start deriving products there.

12 Beyond that, I think the thing that  
13 we're looking for and where we have gone is where  
14 there are willing partners and willing ports that  
15 are interested in partnering with us. So I think  
16 that's where, you know, we're overlaying that on  
17 top of the shipping demands that requires that.  
18 And so I think that's how we're looking at it  
19 among other things as a means of determining  
20 where to go next so.

21 MEMBER DUFFY: Of course, we would  
22 love to help with some of the collections along

1 the lower river and, you know, a good field trip  
2 to New Orleans has a way of really helping things  
3 along, and you know we're committed.

4 Ed, you may be number one but being  
5 number two is not that bad either.

6 VICE CHAIR SAADE: So I have a  
7 question for Carol or Laura. Carol, go back 20  
8 years and if you had a really comprehensive  
9 current measuring system in the Cook Inlet to aid  
10 in what we had to do back then, would it -- could  
11 you apply it to benefitting the way the survey  
12 was run?

13 MEMBER LOCKHART: So one of the  
14 hardest challenges of working there was at the  
15 time, getting the dynamic draft for the vessel  
16 correct, because the speed over ground didn't  
17 match the speed through the water. And so the  
18 way we got around that was by using engine RPMs  
19 and translating that into speed through water.  
20 If you had current information, yes, maybe you  
21 could have done that a different way and modeled  
22 that differently so it wasn't quite as hard to

1 get to and it may have been more accurate. So  
2 that's the first thing that comes to mind with  
3 that.

4 The other thing it could have  
5 influenced was the year before when we're trying  
6 to figure out what the tidal zones should look  
7 like, because they changed a lot, the shape of  
8 them changed a lot, especially going around the  
9 bend there and current information may have  
10 helped with that, too.

11 VICE CHAIR SAADE: Okay. Thanks. So  
12 Laura, we did a survey off Nikiski for a couple  
13 of years with Exxon, and we had a current -- I  
14 think we still have a current meter there. I'm  
15 not sure but if there was industry current meters  
16 scattered around, would that be of interest?

17 MS. McLAUGHLIN: That's probably a  
18 question for Rich actually, but the -- you know,  
19 we have been talking about partnering with  
20 outside partners for collecting water level data,  
21 so one of the things that we should be starting  
22 to look into is how can we partner with outside

1 partners to collect current meter data as well.  
2 And, you know, perhaps that's something we need  
3 to start thinking about as time moves on, but  
4 I'll let Rich answer that.

5 MR. EDWING: So I'll turn my mic on so  
6 I can talk to you next to you, but the short  
7 answer is yes, we're interested, and certainly  
8 either in getting some of this, just a few months  
9 of data that we can just make some predictions  
10 from or potentially, you know, almost create a  
11 PORTS system out of it if people in the area are  
12 interested in that. But we also have to look at,  
13 you know, what type of equipment's being used and  
14 standards and, you know, it's -- as you know,  
15 it's not as easy as flipping a switch and that  
16 data getting over to us. We have to look at  
17 those technical issues as well. But the short  
18 answer is yes, we'd certainly like to explore  
19 that.

20 MEMBER GEE: Just a couple of  
21 questions for you but actually one related to  
22 that -- this is my ignorance, I guess -- is with

1 the Coast Survey ships that are out doing the  
2 charting in remote areas, do they -- are they  
3 collecting current information as well or not?  
4 Is that not part of the normal mission, and would  
5 that be useful?

6 MS. McLAUGHLIN: The NOAA ships you're  
7 talking about?

8 MEMBER GEE: Yes.

9 MS. McLAUGHLIN: No. They don't  
10 collect current meter data. So we do partner  
11 with them occasionally if they're transiting  
12 through an area that we're interested in. Like  
13 for example, the one next year that we're going  
14 to deploy in North Indian Pass, actually, the  
15 Rainier, we're hoping will deploy that for us in  
16 April and then come pick it back up in September.  
17 So we do take advantage of them being in the area  
18 but it's not a -- it's not common for them to  
19 deploy instrumentation for us.

20 MEMBER GEE: Okay. Just --

21 CHAIR MILLER: And what about the ADCP  
22 data, isn't that on most of the NOAA ships;

1 wouldn't that be helpful?

2 MS. McLAUGHLIN: Most of that data is  
3 in transit, right, so what we're looking for is a  
4 single point, like a single position so that we  
5 have 30 days of data in that one location, so  
6 that we can do the harmonic analysis on that and  
7 get predictions from it, so the -- like a transit  
8 wouldn't give you that information.

9 CHAIR MILLER: Okay. I just thought  
10 it might be useful additional data to the data  
11 stream.

12 MS. McLAUGHLIN: I think it could be  
13 useful for modeling purposes but probably not for  
14 actually doing the tidal current predictions.

15 MEMBER GEE: Okay. Yes -- no, that  
16 was sort of similar. I was just thinking if  
17 there -- you know, it's -- the deployment of  
18 assets there is, particularly in Alaska, I guess,  
19 is you have few assets up there. If there was  
20 the opportunity to -- question of interest really  
21 whether that happened. Then in a way, related to  
22 what Roger is saying about the autonomous systems



1 as well. I guess it's -- mostly we talked about  
2 it with -- sort of up at UNH about mapping  
3 systems. But I wonder whether the autonomous  
4 systems specifically for the tasks that NOS are  
5 looking at, those other ancillary observations,  
6 you know, the -- whether it be sound velocities  
7 or currents and also then potentially, you know,  
8 using the GPS, you know, with post-processing to  
9 transfer datums and all that sort of stuff. Is  
10 that kind of part of the autonomous -- where you  
11 see the autonomous systems might be used?

12 MR. SARAF: I think it's very, very  
13 possible it could be used that way. I think the  
14 benefit of those devices is it could be outfitted  
15 with many things. And so that's part of the  
16 testing, and that's why we're sort of taking a  
17 very concentrated look at the lab in terms of  
18 integrating these types of things. So I think  
19 it's a possible future to be seen, but I think  
20 it's very possible to do that.

21 VICE CHAIR SAADE: Any other questions  
22 from anyone?

1 (No response.)

2 VICE CHAIR SAADE: Okay. I'd say  
3 thanks a lot. This is another good panel and  
4 really appreciate your time.

5 (Applause.)

6 VICE CHAIR SAADE: Okay. For the  
7 Panel, we're work through all the things that we  
8 towards the end of the day. We're going to put  
9 up the priority matrix panel first, and then  
10 we'll chip away at some of these other to do  
11 lists. If you need to take a break or want some  
12 time, just do your own thing.

13 MEMBER MAUNE: Okay, Ed, is the ball in  
14 my court? Okay. At the last meeting we had in  
15 Miami, we came up with the idea of a priorities  
16 matrix in which different people identified  
17 topics that they thought we might be interested  
18 in looking into for potential issue papers. And  
19 we sent out a priority matrix and had people, all  
20 members, vote on which they thought should be  
21 highest priorities. You could -- each person  
22 could vote on three to five of the various topics

1 that we had. We received responses from 12 out  
2 of the 16 members and of those 12 that voted, 8  
3 of them voted autonomous vessels and emerging  
4 technologies as the one that got the most  
5 interest in having potential issue papers in the  
6 future.

7 And for that particular one, when we  
8 had a -- we've had a couple of monthly or  
9 bimonthly telecons to discuss these issues, the  
10 last time we talked, Ed, you thought that you  
11 were gathering data now and weren't ready to  
12 prepare an issue paper yet on that. Has anything  
13 changed?

14 VICE CHAIR SAADE: I think what's  
15 changed is that it's doing its own thing with  
16 whether we say anything or do anything, as Larry  
17 demonstrated earlier yesterday.

18 MEMBER MAUNE: Okay.

19 VICE CHAIR SAADE: There's a lot going  
20 on. When I sat in with SAB, there was a  
21 presentation from all of NOAA's different  
22 activity relative to both airborne and vessel

1 autonomous vehicles, surface, subsurface and  
2 airborne. So what I'm wondering is if there's  
3 really a position for us, because things are  
4 happening so fast and moving so quickly forward.

5 MEMBER MAUNE: Yes. Well, we don't  
6 have to have an issue paper on it.

7 MEMBER HALL: I just want a quick  
8 point of clarification of what actually happened  
9 in Miami. I thought the priority -- I know that  
10 it became something a little bit different  
11 between Miami and now, but the original purpose  
12 of the priority matrix was to identify also the  
13 things that we wanted to do with these topics.  
14 So when I voted for autonomous vessels, say, it  
15 was to get more information and keep it at the  
16 top of our interest list --

17 MEMBER MAUNE: Okay.

18 MEMBER HALL: -- not necessarily to  
19 write a paper. And I didn't see any of these at  
20 this point trying to be a paper yet. So I think  
21 that's one thing we are now missing is direction  
22 on what the group thought we were going to be

1 doing on these particular topics. It was not  
2 related specifically to issue or position papers.  
3 So I just want to --

4 MEMBER MAUNE: That is correct.

5 MEMBER HALL: -- clarify where we're  
6 going with that.

7 MEMBER MAUNE: Kim is right. We are  
8 continuing to pursue emerging technologies every  
9 time we can. It's something we continuously need  
10 to be updated on and appreciated the briefings we  
11 had this week on that subject.

12 VICE CHAIR SAADE: So I guess we're  
13 all in agreement that number one is -- the one on  
14 the top of the list is happening, right?

15 MEMBER MAUNE: Yes.

16 VICE CHAIR SAADE: Okay.

17 MEMBER MAUNE: It's a hot topic for us.  
18 It's the hottest topic for us. We can continue  
19 to appreciate the different periodic sessions you  
20 have introducing us to these technologies and the  
21 briefings we've had this week on that. So we  
22 don't have to have issue papers on it. I

1 shouldn't have put potential issue papers up  
2 there. It was for hot topics for us to continue  
3 to be kept abreast of. The second --

4 MEMBER PAGE: Dave, can I say  
5 something for a second. I mean I'm just -- now  
6 I'm confused. Of course, I'm new to the group  
7 here. All I know is how to do is throw parties,  
8 I know how to do this stuff but -- I guess my  
9 thought is our goal is to provide some advice or  
10 counsel or some input to National Ocean Service.  
11 So to me, we probably should look -- maybe  
12 there's a different list. You know, where are  
13 things that we think we should be investigating  
14 so we can provide input to NOS versus we -- if  
15 we're saying this is happening, autonomous  
16 vessels, then that's not really important. I  
17 mean I can learn about it more. I can pay  
18 attention to it but if I'm not going to  
19 contribute -- and my job is to kind of move the  
20 needles one way or the other -- just to watch  
21 what's going on but maybe evaluate something and  
22 then provide some input that can help NOAA find

1 another avenue or another thing to pursue or what  
2 have.

3 So maybe there's two different --  
4 because I was kind of thinking issue papers too,  
5 but everyone's it's not issue papers, it's just a  
6 matter of being issues you're interested or I  
7 don't -- what's the priority for?

8 VICE CHAIR SAADE: Okay. I'll go  
9 first.

10 MEMBER PAGE: I'm lost.

11 VICE CHAIR SAADE: And then Kim. Not  
12 everybody on the panel is about autonomous  
13 vehicles --

14 MEMBER PAGE: Okay.

15 VICE CHAIR SAADE: -- at least when we  
16 started.

17 MEMBER PAGE: Okay.

18 VICE CHAIR SAADE: So the intent of  
19 this is, from a technical point of view, was to  
20 introduce technologies to everybody so that maybe  
21 it's just out of human interest or Panel  
22 interest, or maybe it turns into something that

1 we really feel strongly for and then it becomes  
2 something for moving the needle.

3 MEMBER PAGE: Okay.

4 VICE CHAIR SAADE: So for instance, a  
5 couple of meetings ago, Carol did a real  
6 comprehensive presentation about the way  
7 hydrographic lidar works, which was really  
8 beneficial to the entire panel. And that type of  
9 thing is what led to what we're doing here.

10 MEMBER PAGE: That's good then.

11 VICE CHAIR SAADE: And as -- you know,  
12 I don't know what we may have learned in the last  
13 couple of days. There may be some other things  
14 we want to put up there now that --

15 MEMBER PAGE: Right.

16 VICE CHAIR SAADE: -- but you're  
17 right, at the end of the day, a lot of this is --  
18 part of it's educational, part of it's for us to  
19 latch onto something and run with it.

20 MEMBER HALL: Just because I'm the  
21 brainchild from this, just -- what it was for was  
22 we would get on topics, we would get to a place



1 and we would just kind of talk about what was  
2 going on there. And we kind of loose track of  
3 some national priorities or other things other  
4 than what NOAA had asked us to do.

5 So part of this was specifically what  
6 Ed just said, getting smart on the issues and  
7 deciding is there a there there, is there  
8 something we need to write about or not, also to  
9 help kind of establish some meeting priorities as  
10 well. What do we want to hear about now. We're  
11 really interested in for a while there big data,  
12 so we instead of having a meeting, we had  
13 telecons with the Technology Working Group  
14 thinking about that. And it's a good way to  
15 gauge the group's changing priorities so that we  
16 can be more agile and nimble for NOAA as we  
17 answer things.

18 So I think sometimes we need to be  
19 producing. The problem we got to is we were  
20 producing quite a few issue papers and if you  
21 hadn't figured out through the rewrite of the  
22 precision navigation paper, that's like herding

1 cats. And at that point, I was the one who was  
2 rewriting them so I wanted to find a new way to  
3 do that.

4 So I think it's all of the above and  
5 I think we do need to get back to the point on  
6 this where people kind of indicate we want more  
7 information, we want to keep tracking on it, or  
8 we want to think about an issue paper. I think  
9 we need those inputs so that you all, as  
10 leadership, Joyce, Ed, going to be Julie, can  
11 understand the -- just us regular panelists'  
12 thoughts on it. And it's also a way for folks  
13 that maybe don't always speak up during these  
14 meetings to have a little bit of a vote trying to  
15 spread the wealth of input in a different way.

16 So there's a lot of reasons why it  
17 happened and I think we did lose something in  
18 this one without having that kind of follow-on,  
19 what do we want to do with it.

20 MEMBER LOCKHART: So I guess to add to  
21 all of that, I think it is important to know what  
22 we want to keep tabs on, too. So it's easy to

1 say, well, yes, this is happening and as a Panel,  
2 we all got educated on this a couple of sessions  
3 ago, but I think something became apparent this  
4 week because, you know, we just heard that  
5 they're going to start looking at the aerial  
6 drone now and putting that on NOAA ships. And I  
7 think that problem -- that could solve a problem  
8 that was highlighted just yesterday by the Vitus  
9 guy, that he can use this new technology to solve  
10 his problem really quickly.

11 There is a missing piece to that and  
12 right now, he needs the processing to be push of  
13 a button. Well, that could be some kind of thing  
14 that we say, okay, well, maybe we have UNH look  
15 at structure from ocean and processing and see if  
16 we can make that pushbutton so we can have, you  
17 know, a missed or a black box system for aerial  
18 drones that can't solve this problem really  
19 easily.

20 So I think, you know, when we did our  
21 panel, we focused very much on vessels floating  
22 on the water, but there are other types of

1 vessels out there that are still in the purview  
2 of NOAA. And so I think that's why it's  
3 important to keep this kind of stuff on the list.  
4 Yes, we did it but I think we are all still  
5 interested in it, and it is changing so quickly  
6 that I think it's important to keep abreast of  
7 that. So yes, maybe it won't come up every  
8 session but I think it's important that these  
9 topics do still get discussed.

10 VICE CHAIR SAADE: Yes. And I would  
11 add for somebody like me, you can never end. I  
12 mean all this stuff is great. I love all of it  
13 so we have to be a little bit discriminating with  
14 some logic in there.

15 CHAIR MILLER: Yes. I just wanted --  
16 one thing that Ed Page said and I just wanted to  
17 clarify one thing. We're providing advice both  
18 to NOS and to the Administrator. And sometimes,  
19 you know, I can think of the ship issue that  
20 we've written papers on and we've put a  
21 recommendation in. That's really an OMAO issue.  
22 It's not an NOS issue. So we need to remember to

1 look a little more broadly than just NOS, just as  
2 a --

3 MEMBER THOMAS: I'm wondering if we --  
4 this first topic there, what I would really like  
5 to have at our next meeting in March is some  
6 report out on has there been any progress on  
7 using any of these autonomous vessel in the  
8 shallow water bathymetry or mapping or something  
9 like that. I mean I think the reason why this  
10 became so important, particularly at this  
11 meeting, was because we really saw direct  
12 applications where that could really help some of  
13 these remote areas that didn't have a baseline  
14 for shoreline, et cetera. And if we're going to  
15 provide continuity within meetings and really tie  
16 back our discussions, we might just make a note  
17 that that might be a topic for a future meeting,  
18 too, to really tie it in.

19 CHAIR MILLER: I would also add that  
20 at the last meeting, we've been very privileged  
21 to have Admiral Gallaudet at two meetings in a  
22 row. That's never happened before.

1           He asked that the HSRP look at this  
2           topic in particular. So when I get a request  
3           like that I put it on top of my priority list.

4           VICE CHAIR SAADE: And just so  
5           everyone knows, we had a whole session on the  
6           status of AUVs when we were in New Hampshire so  
7           we spent an entire morning on it.

8           And, again, I could do that every  
9           single meeting personally, but in the interest of  
10          moving it along, and maybe the right thing to do  
11          is to revisit it once a year or maybe once every  
12          year and a half.

13          But with Larry doing what he did, that  
14          is one step in the update, and sometimes the  
15          Admiral does the same type of thing. We could  
16          make it more regular.

17          I have no problem with that just  
18          because it is a particular type of technology  
19          that is changing incredibly fast and the  
20          applications are changing incredibly fast.

21          MEMBER DUFFY: So I wanted to comment  
22          on something that's not here and one of the items

1 in Miami was the discussion of working on the  
2 partnership with NOAA and the Corps of Engineers.

3 And I will just say as someone who  
4 lives on the Mississippi River, I depend on all  
5 of our government agencies.

6 This past Friday I was on the Motor  
7 Vessel Mississippi with the Mississippi River  
8 Commissioner Admiral Shep Smith, and Captain  
9 Kretovic reminded me that I had my NOAA hat on  
10 today.

11 But I strongly believe that that is  
12 very important especially with looking at New  
13 Orleans in a year, and as the diversity of the  
14 panel offers, some things are going to be more  
15 important to different people, but I have to ask  
16 that that at least be included in future  
17 consideration.

18 I will also volunteer that in my area  
19 from New Orleans District to Vicksburg to  
20 Headquarters, I have a very good and close  
21 relationship with the Corps as I do with NOAA and  
22 the other agencies.

1                   And I think there is a tendency to  
2                   have silos in ways but especially with the  
3                   technology increases and more information being  
4                   available, I would say that that was a very  
5                   important one to me, and if I could make an  
6                   appeal that that also be at least kept on the  
7                   back burner, I'll keep stirring that gumbo, if  
8                   you will.

9                   But I would like to see that not fall  
10                  by the wayside.

11                 MEMBER MAUNE: Do you feel that was  
12                 not included in the public private partnership  
13                 there, one that it's --

14                 DR. MAYER: I think that's a very  
15                 different -- and I want to reiterate that. And I  
16                 think maybe not so much at this point in time for  
17                 an issue paper. I think it can evolve into an  
18                 issue paper, but when Lynne asked for suggestions  
19                 for the meeting in the Washington area, this  
20                 might be a really appropriate thing to focus on.

21                 Because I absolutely agree with Sean  
22                 that this is a critical issue, and I think



1 there's been some good progress, but I think we  
2 need to keep stirring the gumbo and keep the  
3 pressure on.

4 And so if we made that a focus area  
5 for that meeting, that might lead to some kind of  
6 issue paper that we might want to produce.

7 Exactly, well, I'll leave it to the people who  
8 know who the right people are, but I think that's  
9 the place it'll be.

10 VICE CHAIR SAADE: I'm inclined to  
11 suggest just as we have this panel here.  
12 Obviously these topics are still of interest, and  
13 we had a lot of discussion about exactly what  
14 you're talking about at one of the previous  
15 meetings that I was at.

16 It may be that we need to have every  
17 single meeting a five or ten-minute refresher  
18 because -- just to make sure that people realize  
19 we're not forgetting about it and things are  
20 changing rapidly.

21 MEMBER HALL: There's a lot more on  
22 this list, these are just the top votes, and the

1 full matrix has more information on specifically  
2 what we're talking about.

3 Because these are really generic,  
4 large topics, and so there is more information.  
5 What I had done in Miami was everything I've  
6 heard related to them I shoved into that  
7 spreadsheet.

8 And this is just I think for Dave and  
9 Julie's purposes to just get us all on one  
10 screen. But there's more to it, and I'm happy to  
11 share that with everybody else.

12 There are some specific things people  
13 wanted to hear about, and, again, I'm just going  
14 to go back to the reason we started this was part  
15 of it was to help NOAA think through what we want  
16 to see at our meetings as well.

17 It's not just issue papers, and what  
18 we want to hear about, and I think we got some of  
19 that from this last panel which we don't normally  
20 get.

21 And so to say these are the things  
22 we're interested in, even if it's not something

1 that we have anything that we can do about it  
2 right now, that doesn't mean when we get to D.C.  
3 next time there won't be something hot front and  
4 center that we need to do.

5 And, again, yes, going back to the  
6 Army Corps, that is always one that we have. I  
7 think given everything that Shep has done with  
8 it, though, we've let it linger a little bit  
9 because we know that he's working hard on that  
10 relationship.

11 MEMBER MAUNE: Yes, the full matrix  
12 looks more like this. I tried to abbreviate it  
13 as best I could.

14 The second topic on the list was the  
15 perpetual need for all the line offices to come  
16 up with ways to let Congress and other people  
17 know the value of their services, and is there  
18 any way that we can quantify the benefits of the  
19 different offices?

20 The 3D Nation study that Ashley was  
21 talking about is one of those steps that will  
22 address some of those quantification of benefits,

1 but there are other places maybe that Rich has.

2 I'm not sure how Rich quantifies the  
3 benefits, but the more we can come up with  
4 methodologies for doing that, the easier it is to  
5 get Congressional support for the budgets we need  
6 to do our jobs.

7 And so that was sort of my idea, at  
8 least of the focus behind that particular topic  
9 and why it got the second most votes. I don't  
10 know if anybody else had anything they wanted to  
11 add on this particular subject?

12 MR. EDWING: Well, I'll just note that  
13 we've done a series of economic benefit studies  
14 on the PORTS system. We started off with four  
15 individual ones.

16 First, we created a template for you  
17 all with how you gather the data and generate the  
18 benefits, and so we did four of those. Tampa Bay  
19 was the first one, Houston-Galveston was next.

20 New York/New Jersey was third I think,  
21 and Columbia River was the last one. And then we  
22 did a larger study which said, hey, if we had all

1 of the major seaports in the U.S. covered by a  
2 PORTS system, what would be the economic benefits  
3 of that?

4 And that was completed a few years  
5 ago. And then there's been some follow-up work  
6 done on that looking at how do we target areas  
7 that don't have PORTS? How do we strategically  
8 target areas that don't have a PORTS system?

9 We could both benefit from them,  
10 primarily from the standpoint of accident  
11 reduction because the reports have documented a  
12 50 percent or more reduction in accidents when  
13 the PORTS goes in, as well as further exploring  
14 some of the economic benefits.

15 So we've really done a lot of work for  
16 that particular system. We -- I would like to be  
17 doing some work with the water-level network.  
18 The problem there is what application area do you  
19 want to choose?

20 Do you want to look at sea-level rise,  
21 long-term coastal planning, or storm surge and  
22 tsunami warning, or habitat restoration? There's

1 a wide variety of applications there, so that's  
2 probably where I need to go next.

3 MEMBER MAUNE: Okay, the third topic  
4 on the list had to do with relative sea level  
5 rise.

6 MEMBER ATKINSON: Wait.

7 MEMBER MAUNE: Did I miss something?

8 MEMBER ATKINSON: I'm just down here,  
9 I wanted to say something.

10 MEMBER MAUNE: Oh, I'm sorry.

11 MEMBER ATKINSON: Well, actually it  
12 relates to relative sea level rise, too. But I  
13 think I've said it before, but the long-term tide  
14 record at just one tide station, Sewells Point,  
15 that data is influencing billion-dollar decisions  
16 right now. So it's an interesting economic  
17 benefit, literally billions of dollars.

18 RDML SMITH: I bet we didn't account  
19 for that in 1920 when we were putting it in  
20 there.

21 MEMBER ATKINSON: No, you didn't, I'm  
22 sure, yeah, but now. No, that trend is important,

1 and you wouldn't have it without that gauge.

2 MEMBER MAUNE: Okay, the third topic  
3 that got the third most votes was relative sea  
4 level rise, and I know that that's a topic near  
5 and dear to the hearts of Larry and Julie, and I  
6 think Sean said he would like to participate in  
7 that and Neil Weston.

8 Somebody mentioned that we needed a  
9 baseline to see sea level rise relative to what.  
10 What is the starting baseline here? And I don't  
11 know if we're in a position to get going on --

12 MEMBER THOMAS: Can I just say two  
13 words about that because -- and Ed's name should  
14 be up there too because I know you had an  
15 interest.

16 How I see that evolving, would maybe  
17 set up a small subcommittee to address it, and I  
18 think the key there is to make -- I mean, that's  
19 such a broad topic, to make sure that we really  
20 tie it into NOS and what they're doing and how  
21 that's really going to -- how their efforts are  
22 going to be making an impact on the local

1 communities and make sure we tie it all back.

2 And then maybe it becomes an issue  
3 paper down the line, but I would just suggest  
4 kind of tabling that and putting it out to the  
5 panel that whoever is interested if they wanted  
6 to be on a subcommittee.

7 And then we could set up a call or  
8 something and go from there. What do you think,  
9 Ed?

10 VICE CHAIR SAADE: I was thinking  
11 about the idea of taking a few these offline from  
12 the formal biannual meeting because we can run  
13 with these as much as we want and as far as we  
14 want as we do the call-ins.

15 We could make it a call in that  
16 everybody attends or we could make it a call in  
17 that's key to this focus. And that's an  
18 efficient way to move it along.

19 MEMBER THOMAS: Yeah, I just think  
20 that whoever's -- well we'll send out some email  
21 and say we're setting up a call or let us know or  
22 send your names on in if you're interested in



1 participating or something like that.

2 VICE CHAIR SAADE: That's a good way  
3 to get folks engaged.

4 MEMBER THOMAS: We'll get it going  
5 outside of this meeting if that's okay with  
6 people.

7 VICE CHAIR SAADE: I agree.

8 MEMBER MAUNE: Sure. Anybody else on  
9 that topic? Yes, Larry?

10 MEMBER ATKINSON: I just wanted to add  
11 one thing we could do when we're down with Sean,  
12 we could have a session on subsidence for example  
13 or whatever in the same -- or when we're in the  
14 D.C. area.

15 So this might be a continuing thing  
16 and whether we do a white paper or not, we'll  
17 figure it out.

18 VICE CHAIR SAADE: We've got another  
19 threshold we have to beat. We have to be four  
20 days in a row above the fold on the Washington  
21 Post when we go to Washington D.C.

22 MEMBER ATKINSON: That's going to be

1 really hard to do.

2 MEMBER MAUNE: Okay, moving on, the  
3 fourth place was tied with two topics, one was  
4 enhanced navigational assistance, and I think  
5 that really showed that a lot of people are  
6 interested in PORTS and in precision navigation.

7 We've had several iterations of the  
8 precision nav issue paper, and I don't know if  
9 there's any need for updating it or not, but four  
10 people voted for that.

11 And then four other people voted for  
12 the public private partnerships for the blue  
13 economy, which is something that Ross Calendar  
14 asked us to look into in Miami.

15 MEMBER HALL: But he's gone now.

16 MEMBER MAUNE: He's gone now, but it  
17 is interesting. The blue economy is certainly  
18 something of interest to Tim Gallaudet over  
19 there.

20 MEMBER HALL: Yes, he's talking at our  
21 meeting.

22 MEMBER MAUNE: He lives and breathes

1 the blue economy all the time.

2 VICE CHAIR SAADE: Here's a question  
3 for the group. Should we redo this every six  
4 months or a year or should we keep it fixed?  
5 What do you guys think?

6 MEMBER MAUNE: Then it becomes a  
7 question of well, we're interested in that, what  
8 are we going to do about it?

9 And I'm not sure what we can do about  
10 public private partnerships, what recommendations  
11 we might have to the NOAA administrator.

12 MEMBER HALL: But I think the point of  
13 the follow-on things is do we want information?  
14 Do we want to talk about it? Do we just want to  
15 keep track of it?

16 That's what we did with U.S. Army  
17 Corps. We said, hey, we just want to keep track  
18 of this because it's something that's a  
19 consistent thing.

20 So I think what we need is we did this  
21 last time right after the Miami meeting, we do  
22 that again but we do the follow-on on what's your

1 expectation? Do you want to know more?

2 Are there enough votes for an issue  
3 paper or are we still learning about it? And I  
4 think we've done that and we've gone back and  
5 forth with Technology Working Group papers and  
6 said, you know what, actually not a paper yet.  
7 Or, hey, it's too fast-moving or, yes, we need  
8 it.

9 I think it's to continue a  
10 conversation and I don't think any of this is  
11 fixed but I do think we need more information  
12 about what folks really think we're doing. And  
13 I'm not sure it takes extra subcommittees to do  
14 that.

15 I think it really takes just asking  
16 the question and if it's someone like me, there  
17 was a couple things that before I joined this  
18 three years ago I didn't know anything about.  
19 Now I feel like I'm a little further along, but  
20 we have new members coming along so how can we  
21 bridge that gap?

22 And if there's more people saying I

1 need information versus more people saying I want  
2 to write a paper, then we have a better idea of  
3 where we are as a Committee, as a panel.

4 And so I think it's really important  
5 to do that but I think it's also important to  
6 understand the expectation for each of those  
7 topics from people.

8 MEMBER MAUNE: The other topics that  
9 got fewer than four votes include education,  
10 promoting hydrographic education, that got three  
11 votes. Incorporating non-authoritative sources  
12 from crowd-sourcing, satellite-derived bathymetry  
13 example, got two votes.

14 Arctic charting only got one vote,  
15 interesting. I want to take a vote again and  
16 we'll get a different result.

17 Managing big data and databases got  
18 two votes, technology transfer got three votes,  
19 USACE NOAA partnership got three votes, Science  
20 Advisory Board cross-pollination got three votes,  
21 hydrodynamic modeling and validation got three  
22 votes.

1 U.S. Coast Guard and AIS got one vote,  
2 hydrographic survey fleet only got two votes,  
3 though we've had issue papers on that, and then  
4 we had NOAA's application of IoT, artificial  
5 intelligence and M2M, that page got one vote.  
6 That's it.

7 MEMBER SHINGLEDECKER: I would  
8 challenge you guys as a group to maybe use this  
9 as a forward-looking planning mechanism kind of  
10 as what Kim said. So of these topics, which of  
11 these do you want to have webinars on to get more  
12 information?

13 Which topics might inform where you  
14 want to have a meeting because you want local  
15 stakeholder feedback on it?

16 Then with that information, okay, as  
17 you have more information, then is an issue paper  
18 needed, is a subcommittee needed? And maybe rank  
19 those after each meeting because I do suspect  
20 some of those rankings would change if we  
21 reranked today.

22 What I would also challenge you guys

1 to do is something I don't think we've done in a  
2 while, is kind of a -- use that as your forward-  
3 looking but also have a backward-looking tool.

4 A while ago I know we did, we went  
5 back and we took all the letters that we had  
6 written to the Administrator over the last five  
7 years, and we pulled out each of the  
8 recommendations and said where does that stand  
9 now?

10 Okay, we made the emphasis, we made a  
11 recommendation, was it actioned? Was it not  
12 actioned? Is it still relevant? Has it changed?

13 As a way to hold accountability to it  
14 and just make sure that the work that we're doing  
15 as a panel is getting the results that we hoped  
16 for and use that to inform, okay, well, if it's  
17 changed what more do we need to know?

18 So I would just say a forward-looking  
19 and a backward-looking would be a smart way to go  
20 forward.

21 MEMBER MAUNE: One thing I can do is  
22 I could start with these topics but before we

1 vote again I would want to get suggestions from  
2 the members on what topics need to be added so  
3 that we have an updated list of nominated topics  
4 for everybody to vote on.

5 That to me would make more sense to  
6 see how we update this list. Lindsay?

7 MEMBER GEE: I think I agree with  
8 Susan totally.

9 I think if we take away the papers,  
10 these are issues that were all obviously voted on  
11 but that were raised, and they're issues that  
12 should I think also for communicating to NOAA  
13 what we're interested in obviously.

14 And there are some areas where we  
15 really can't do anything because it just  
16 highlights an area that we think we should be  
17 addressing that a lot of times I feel I don't  
18 know enough what NOAA is doing already.

19 And they may already be addressing  
20 some of these things. And some, again, are so  
21 general, public- private partnerships versus  
22 autonomous vessels, I mean, they're quite at the



1 extremes.

2 PORTS is a solution and public-  
3 private partnerships was just -- they must throw  
4 it out there. And I think we need to maybe  
5 address that.

6 But having those there is good because  
7 I think if we do address it early in a meeting  
8 and we refresh our memories of what we said last  
9 time, I think if I look back now at this meeting,  
10 I look at public, private, nonprofits and I  
11 think, well, wow, look at the partnership with  
12 Marine Exchange -- this is a solution that's  
13 working in a particular area and you can take it  
14 under that topic.

15 Relative sea level rise up in Alaska,  
16 it's like, well, we have no fricking clue what's  
17 up there because there's no data and we haven't  
18 connected it. There's no infrastructure.

19 So that focuses my mind and says,  
20 okay, Juliana and the CO-OPS team and all that,  
21 they need to then have support to get the basic  
22 infrastructure to even think about that.

1                   So that's the way I would address this  
2 as opposed to looking for papers to write, it's  
3 more like, okay, where do we think there's issues  
4 that we can actually -- and it has to be  
5 somewhere where we can have an input as an  
6 advisory panel.

7                   There's really interesting stuff I'd  
8 love to talk about more with different folks but  
9 it's like, yes, it's not our role in this panel I  
10 don't think.

11                   So it's important to just address a  
12 group of issues that we have not in the forefront  
13 but are there that we see as the bubbling issues  
14 that we want to address and help NOAA move  
15 forward with I think.

16                   MEMBER PAGE: Can I ask --

17                   CHAIR MILLER: I think you should also  
18 look at -- this is a priority list. We have done  
19 things recently.

20                   There's not just these, there's the  
21 papers, there's the recommendations we've put  
22 into the letters, and a lot of times the

1 recommendations in the letter is a very hot topic  
2 from the meeting we go to.

3 For instance, I think perhaps one  
4 recommendation from this meeting would be on the  
5 AIS issue. That's not high in this priority  
6 list, and one of the things I did when Kim  
7 started this matrix was I put in a column to tell  
8 new panel members what has been done recently.

9 Issue paper in 2017, letter  
10 recommendation in 2016, so you can see where,  
11 like Susan was talking about, we've gone in the  
12 past.

13 And for instance, on the topic that  
14 Sean brought up, the Army Corps coordination,  
15 Sean, what I would encourage you to do is go to  
16 the papers and look at the paper that Bill Hanson  
17 and I were primary on called Improving Access for  
18 U.S. Nautical Charts.

19 Buried in that, because it's a  
20 sensitive topic, is the U.S. Army Corps NOAA  
21 relationship, and so you need to look at that and  
22 see if there's some way we can improve that issue

1 paper because it has been addressed.

2 I'm not saying it shouldn't be  
3 addressed again, but maybe we need an update on  
4 that paper. So there's a lot of resources there,  
5 and there's a lot more information in this matrix  
6 than is what is up on the screen.

7 So just be aware of that.

8 MEMBER THOMAS: Go ahead, Ed, I think  
9 you were before me. I was just going to say that  
10 regarding the Corps, I'd actually like to broaden  
11 it from just the charting and the channel issue  
12 and the quality control of their data.

13 Because, gosh, in southern -- we get  
14 Corps dollars for sea level -- for beach erosion  
15 dollars, we get Corps dollars -- the Corps is the  
16 primary funder of the wave buoys, the 71 wave  
17 buoys around the coastal U.S. If those dollars  
18 don't continue it all goes away.

19 There's also quality control, and they  
20 do work really closely with NOAA on a lot of  
21 those topics I think, and I think the  
22 coordination with NOAA is essential.

1           So I don't know how you feel about  
2           that, Shep, but I feel like it's a broader issue  
3           than just the nautical charting too. And I don't  
4           know how much of that is particular to this  
5           committee is the only thing.

6           The beach erosion for sea level is  
7           actually very -- and we fly light with Corps  
8           dollars and do a lot of vertical datum stuff with  
9           the NOAA dollars. But I just bring it up that  
10          there are other partnerships with the Corps too.

11          MEMBER DUFFY: I would just like to  
12          respond and say I'll be happy to read that paper,  
13          but I think in maybe a way this is more than a  
14          paper.

15          When we're talking about a partnership  
16          and working to develop it, maybe being an action  
17          item and as you know, I'm new here and I really  
18          don't want to be a troublemaker, but this is  
19          something I believe that would be very important.

20          And just trying to facilitate that, as  
21          we look at panelists, I mean in both of the  
22          meetings I've attended, we've had other

1 government agencies, and I think that  
2 coordination and cooperation is key.

3 And, again, I really would like to  
4 help that maybe not having it as a paper isn't a  
5 good thing.

6 I'd be happy to put together what I  
7 think the partnership should look for and come  
8 back and hopefully that could be supported and  
9 maybe it will take away one of the papers.

10 I've seen the wordsmithing that goes  
11 on, and, of course, I know words are very  
12 important as you'll remember from this morning.  
13 But it's more of an idea in my mind than if  
14 there's a way to facilitate it, I think at least  
15 in the areas I spoke about, I have the  
16 relationships to help make that better.

17 And hopefully -- I will say that I've  
18 spoken to Corps at Headquarters level, and there  
19 was an interest, and I think we'll get away from  
20 the overlap in the missions.

21 But at the end of the day, through  
22 cooperation, I mean, when we have a hurricane or

1 an oil spill we're talking to the Corps and NOAA  
2 and the Coast Guard and Customs all in the same  
3 call and all in the same mission.

4 So having that partnership I will say  
5 again I think is really important.

6 Thank you.

7 MEMBER HALL: I think this is key to  
8 looking back, what Susan said. We need to  
9 because when I first started this was a huge --  
10 you took over for a big name in Army Corps too  
11 when Bill Hanson was on the panel.

12 So I want to make sure Sean  
13 understands it's not an issue that we don't take  
14 seriously.

15 I think what we do need to do and I  
16 think Susan's got a great idea there is somebody  
17 needs to go back and look because we made these  
18 recommendations, we've had wonderful  
19 presentations from Shep specifically about this  
20 and the things that he is doing and his office is  
21 doing to ensure that partnership.

22 And so I think maybe we have not done

1 a great job of supporting our new folks to  
2 understand the past of this panel.

3 So I think that's probably a next step  
4 once we figure out what we really want to do with  
5 this but preparing these folks for success when  
6 they get here is a huge key thing.

7 Because I think some of us are sitting  
8 around the room going, yes, we really understand  
9 the Army Corps issue because it usually comes up.

10 It didn't come up here, and we're just  
11 making sure that we put our efforts where we  
12 really can and wait for NOAA to push on us when  
13 they need our support.

14 But, Sean, Shep can probably talk to  
15 you offline exactly what he's up to with that ACE  
16 relationship.

17 MEMBER KELLY: Ed Kelly, here. Sean,  
18 it's way too late, you are a troublemaker. But I  
19 think we have to differentiate the paper is  
20 strategic, but the tactical portion of this is  
21 what you're talking about.

22 And the paper is one thing, that's



1 strategy, tactical where we have to actually set  
2 up individual meetings with specific objectives.

3 I think we have to move that a little  
4 bit more, and that's more what you were talking  
5 about and what the MOUs with the Corps and  
6 everything else that you folks have already  
7 started to work on.

8 So it's where we need to go, it's very  
9 valuable, but I think we don't want to trip up  
10 strategical and tactical and try to assume it's  
11 all one package. They are separate things.

12 MEMBER MAUNE: Okay, everybody  
13 commented? That's literally all I have, Ed.

14 VICE CHAIR SAADE: Good lively  
15 discussion, thanks, Dave. What's next on the  
16 list?

17 So we do have a couple of issue papers  
18 that have been brought up. First of all, Gary,  
19 go ahead and give a little bit of detail of  
20 what's your perspective on this.

21 MEMBER THOMPSON: So we've talked  
22 about the datum change in 2022, both horizontal,

1 vertical, and Nicole talked about they've created  
2 a working group here in Alaska, and we've done  
3 the same thing in North Carolina.

4 And what we found out is that we need  
5 to talk to each group about how they'll be  
6 impacted a little bit differently. So we've  
7 written papers in North Carolina for the  
8 agricultural community for professional  
9 engineers, surveyors.

10 We've tried to -- and I'm writing --  
11 I'm meeting with the lawyers next week, and  
12 they're very interested in it. So I think it  
13 would be good for this group too because we have  
14 users like recreational boaters, how it will  
15 impact them.

16 So I think having a paper more not  
17 down in the weeds but more of a general overview  
18 and how that would impact the general population  
19 would be a good paper to have.

20 I think we can take from the other one  
21 the basic information but then stay away from the  
22 deep technical part and just examples of how it

1 will impact them.

2 MEMBER MAUNE: I will say from my  
3 experience that we're going to get a lot of  
4 resistance from some communities to this and from  
5 some of the states for changing their state plan  
6 coordinate system.

7 I'll give an example. My county of  
8 Fairfax County, Virginia is normally considered  
9 to be a pretty progressive state, but they are  
10 still using NGVD 29 vertical datum, and I am  
11 delivering lidar data of Fairfax County this  
12 year, and they first asked for NGVD 29 data, and  
13 now they're asking for both.

14 So they are saying, okay, deliver it  
15 NGVD 29 and also deliver it in NAVD 88, and then  
16 they said in 2022 when the new vertical datum  
17 comes out, they may consider switching from  
18 NGVD29 directly to the 2022 datum, bypassing  
19 NAVD.

20 And if a progressive county like  
21 Fairfax has that kind of issue with the datum  
22 change, I can imagine there's going to be

1 thousands of others out there so that's going to  
2 be a lot of challenges out there to make this  
3 happen.

4 And I know Juliana knows that very  
5 well. You've done everything I could imagine you  
6 doing to prepare -- but it's going to be a hard  
7 sell for a lot of people.

8 MEMBER GEE: I'll just comment on  
9 that. I think that's what Gary is talking about.  
10 You understand that you were having the problems  
11 delivering it and it's like why are they still  
12 resisting, and I think that's what you're saying.

13 It's like, well, here's why you need  
14 to worry about it, and I think that's what we  
15 kind of have to -- the simple -- we understand --  
16 well some of us understand the technicals of  
17 that, but it's like for the average person, it's  
18 like why are we investing money in it and what's  
19 the benefit?

20 And why do you not have to worry about  
21 it so much?

22 MEMBER THOMPSON: And also explain to

1       them they may not have to worry about it because  
2       it may just be a relative change and inform them  
3       of that so that when they read something in the  
4       paper they'll have -- we'll provide them the  
5       information and make them aware that it's really  
6       not going to impact you.

7                   It's just really a change in numbers.  
8       So I think the paper needs to explain, yes,  
9       there's some areas it will impact and some areas  
10      it won't.

11                   MEMBER GEE:  So, again, if we're  
12      writing issue papers to the Administrator, we're  
13      saying that NOAA have to communicate this better  
14      to the public.  That's the kind of thrust?

15                   MEMBER THOMPSON:  Right.

16                   CAPT ARMSTRONG:  That's kind of the  
17      point I was going to make.

18                   I think we need to be clear on our  
19      paper what advice we're giving to NOAA on the  
20      subject, and I think if we feel like NOAA's  
21      communications need to be upped a little bit,  
22      then that's advice we can give.

1                   But straight to the public I don't  
2                   feel is appropriate.

3                   VICE CHAIR SAADE: That's what I was  
4                   wondering. What would be our position? But I  
5                   think that's a good approach, is to point out  
6                   maybe what the inconsistencies are and make  
7                   recommendations on how to improve it.

8                   Because we all understand it because  
9                   Juliana explained it to us.

10                  MS. BLACKWELL: This is Juliana. So  
11                  we would love to have as much support and ideas  
12                  of how to do this better as you all can come up  
13                  with.

14                  But I think what I'm hearing is it's  
15                  not really appropriate for the group to put out  
16                  this paper, one-pager or whatever, but if there  
17                  are -- please clarify if I'm misunderstanding  
18                  this -- the direction of having one-pagers or  
19                  having outreach that is really, really light on  
20                  the technical and just really about the impact  
21                  and why people should care.

22                  It's definitely something we should be

1 putting out, but we would love to have ideas from  
2 HSRP on things to highlight or groups to focus  
3 our message to and just feedback on here's an  
4 example of what we've come up with.

5 Informally, does this meet what you're  
6 expecting? So I think anything that you can  
7 provide, even if it's not from the group, if it's  
8 individually that you want to provide feedback to  
9 NGS on our communications materials or have  
10 things that you think you should highlight, we  
11 welcome that.

12 But I don't see where it would be an  
13 official HSRP document to do that. But  
14 obviously, I think one of the hardest things is  
15 getting the right message to legislatures, at the  
16 state and at the federal level, about what we're  
17 doing and maybe just giving them an awareness of  
18 this as it's coming.

19 Because there are going to be issues,  
20 there are going to be plenty of places that are  
21 going to be challenged by this update, and we  
22 know it's going to take a long time.

1                   But anything we can do to get the  
2 message out there to the greatest numbers  
3 possible, we're very happy to have suggestions  
4 from you as individuals and HSRP as a group how  
5 we can do that better.

6                   Thank you.

7                   MEMBER MAUNE: Thank you.

8                   VICE CHAIR SAADE: So I would  
9 recommend maybe if you jot down, you or whoever  
10 else wants to grab a couple of these things.

11                   There's an anecdote from Dave and a  
12 couple of the things that you're seeing, Gary.  
13 We can use those as an example of why we think  
14 there's concern and make advice that way.

15                   Sound okay?

16                   MEMBER ATKINSON: Yeah, I have kind of  
17 a tongue in cheep statement, but I remember --  
18 tongue in cheek, not cheep, in Y2K. I can just  
19 see headlines, sea level is going to rise two  
20 feet in North Carolina January 1, 2022. People  
21 will not read it right.

22                   MEMBER MAUNE: And by the way, I hope



1 my comments weren't interpreted as being any  
2 criticism of NGS. I think they're doing  
3 everything I could think of to do, it's just  
4 going to be a difficult problem, and I have no  
5 recommended changes for NGS myself.

6 I know they're busting their butts to  
7 keep people informed. They have these seminars  
8 all the time, webinars all the time, and people  
9 up there, there's a great deal of interest in the  
10 topic.

11 It's a very complex issue, and there's  
12 going to be grippers, but it's not because NGS  
13 isn't doing anything I could imagine was needed.  
14 They're doing a good job now from what I can  
15 tell.

16 VICE CHAIR SAADE: Okay, then, Julie,  
17 did we have one other topic for new discussion  
18 for this morning?

19 MEMBER THOMAS: I don't think so. Did  
20 we? Oh, well, there were two issue papers but,  
21 no, one was talking to Gary.

22 The other one was I think we just said

1 that eventually sea level might turn into an  
2 issue paper, but I thought we were going to meet  
3 as a committee first and discuss that, and it  
4 might not be an issue paper depending.

5 That's what I was thinking, and the  
6 issue paper with sea level wouldn't be -- once  
7 again, I think what we need to do as a  
8 subcommittee is decide between NGS and OCS and  
9 CO-OPS, you know, how the sea level is going to  
10 be impacted by this and what is going on in those  
11 lines.

12 So I think that we really need to meet  
13 before that's formed or written. That's what I  
14 would say. Sorry.

15 VICE CHAIR SAADE: Okay, let's jump  
16 over to the key points of the meeting that we're  
17 going to include in the paper.

18 MEMBER THOMAS: In the letter to the  
19 Administrator.

20 VICE CHAIR SAADE: Yes, so if we can  
21 agree as a group what the key items are that  
22 we're going to forward up the chain relative to

1 this particular meeting besides the long list of  
2 thank yous for the attendance of some really key  
3 people.

4 MEMBER THOMAS: So I did jot down just  
5 a few key points that I thought.

6 VICE CHAIR SAADE: Is there a way to  
7 display it?

8 MEMBER THOMAS: It's in my Word file  
9 with a ton of other notes. So we can --

10 VICE CHAIR SAADE: You could say it  
11 out loud and somebody could --

12 MEMBER THOMAS: Let me say it out  
13 loud, and we can always type it in there and just  
14 display it, Virginia.

15 VICE CHAIR SAADE: That would be  
16 ideal, yes.

17 MEMBER THOMAS: Well, one thing,  
18 first, is just acknowledging this joint meeting,  
19 this has already been said, between IOOS and  
20 AMEC, right.

21 And first of all, I think we should  
22 acknowledge Admiral Gallaudet's presence and that

1       how excited we are, but let's not wordsmith it  
2       now.

3                       Let's just put down Admiral  
4       Gallaudet's recognition of being --  
5       acknowledgment of being at the meeting,  
6       appreciation of being at the meeting. And then  
7       two is this --

8                       VICE CHAIR SAADE: Just a second. Do  
9       we have a way to --

10                      MEMBER THOMAS: Virginia is typing  
11       this in right now, and then number two, what I  
12       put down was the advantages of having this  
13       partnership between AMEC and IOOS at this  
14       meeting, their attendance here.

15                      MEMBER HALL: I have a question about  
16       that, and it's something, luckily I've had the  
17       pleasure of talking to folks that have been  
18       around a little bit longer than I have on the  
19       issues of -- I didn't realize -- I don't think I  
20       ever knew that Bill and Susan had gone to an IOOS  
21       meeting and briefed them.

22                      So again this is understanding the

1 past to figure out where we are in the present.  
2 So I think it's a really good first step to have  
3 that joint session, but I think we really missed  
4 something key which was interaction.

5 We got the same briefings, but I think  
6 there's a point there moving forward where  
7 wouldn't it have been nice for IOOS to tell us  
8 what they were working on in relation to us, us  
9 to tell them what we were working on in relation  
10 to them and have a conversation?

11 And I think that dialog didn't happen.  
12 We were all just sitting in a room together. I'm  
13 not trying to be too harsh on that, but it really  
14 felt a little bit like that, and I would have  
15 loved to have figured out where are our common  
16 nexus here?

17 And part of that is letting them  
18 understand what the bounds of HSRP are and us  
19 understanding what their bounds are, but there  
20 certainly must be things that cross over.

21 And I think we missed a key  
22 opportunity there, but I also want to just say I

1 understand it's an iterative process. Everything  
2 we do on this panel is iterative, and we learn as  
3 we go, and so I would just say as we move in the  
4 future, I think we should praise what happened  
5 with IOOS and AMEC, but I think we should also  
6 recognize as a panel that we should be getting a  
7 little bit more out of those sessions.

8 So I just want to put that out there.

9 MEMBER THOMAS: Maybe we can -- I  
10 mean, we'll take that as an idea for our next  
11 meeting in D.C. There will certainly be lots of  
12 opportunities to have a couple-hour overlap, and  
13 maybe we can set up even an informal discussion.

14 MEMBER HALL: It has to go in our  
15 letter, too, just that we want more. Right? So  
16 that's my point, like --

17 MEMBER THOMAS: So, Kim, just to let  
18 you know, we already have -- I don't think that  
19 was announced. We already have a response back  
20 from IOOS this morning from Admiral Lautenbacher,  
21 and Ed and Joyce have that.

22 So definitely there will be a section

1 of the letter which addresses this joint meeting  
2 with IOOS and where we want to go from there.

3 But my problem is I just assume  
4 everybody knows about IOOS because I've been with  
5 it so much, but it's like IfSAR, if you're not  
6 working with it then it's good to know more about  
7 it.

8 VICE CHAIR SAADE: So let me go ahead  
9 and read this paragraph, and then we can also  
10 decide whether it all goes in or pieces that we  
11 want to steal. Okay?

12 In welcoming us to the joint meeting  
13 of the IOOS Advisory Committee and the  
14 Hydrographic Services Review Panel in Juneau,  
15 Alaska, Lieutenant Governor Byron Mallott  
16 eloquently articulated Alaska's affinity for the  
17 ocean and the importance of ocean data and  
18 information to their daily lives.

19 He described the cultural foundation  
20 and collaboration and cooperation that are  
21 necessary to meet the challenges they face.

22 The importance of coordination was

1 well illustrated by the special session on Alaska  
2 water level partnerships. The session was  
3 bookended with presentations by the CO-OPS  
4 Director Rick Edwing and AOOS Executive Director  
5 Molly McCammon, bridging the Committee interests  
6 and underscoring the connectivity of ocean  
7 observing across NOAA programs.

8 More significantly, stakeholders/data  
9 users on the panel from the National Weather  
10 Service and Alaska Department of Natural  
11 Resources described how their close relationship  
12 on management and integration of the data was  
13 leveraged and other data to create improved  
14 weather prediction and alerts, as well as  
15 management of coastal hazards at the local level.

16 The joint session made it clear that  
17 substantial benefits can accrue to the IOOS  
18 system with planning additional joint meetings  
19 across NOAA observing program and other advisory  
20 panels, with the goal of identifying potential  
21 common issues and opportunities.

22 Okay? So I think there's a few items



1 in there that we can obviously bring in to the  
2 discussion. I don't think it's a paragraph that  
3 stands alone by itself.

4 I think it's a really good idea to add  
5 to our little list about the Lieutenant Governor  
6 because he really did have an impact on everybody  
7 in a unique way.

8 I'm sorry, I can't hear you.

9 MEMBER HALL: I'm terribly sorry. Is  
10 there an expectation of a joint statement from  
11 them given the title of that slide?

12 VICE CHAIR SAADE: Not that I'm aware  
13 of.

14 CHAIR MILLER: Let me steal the mic.  
15 We just discussed having something that we could  
16 both put in our letters or use together. It  
17 wasn't absolutely clear.

18 I had hoped that perhaps there would  
19 be more of a quasi-recommendation other than  
20 further collaboration, some driving need from the  
21 water level panel or something, but we didn't get  
22 that.

1                   But then I talked to Admiral  
2                   Lautenbacher after the session this morning and  
3                   he said he was sending me more things but I  
4                   haven't received them yet. So it's so in flux  
5                   I'd say.

6                   MEMBER THOMAS: And we did have that  
7                   scheduled on the agenda to have that discussion  
8                   at one of the lunch hours, it just fell apart.

9                   MEMBER HALL: I'm just looking at the  
10                  title, Joint Statement. So we're talking about  
11                  our letter versus the joint statement. Those are  
12                  two very different things so I just wanted to  
13                  understand expectations.

14                  VICE CHAIR SAADE: Okay, that's their  
15                  contribution to the joint statement.

16                  MEMBER THOMAS: Well, we don't know  
17                  because we're getting more from Lautenbacher,  
18                  too.

19                  MEMBER GEE: I kind of agree. I think  
20                  there is no specific thing we can put a finger to  
21                  say apart from, just a general, yes, we should --  
22                  potentially maybe common issues.

1                   I certainly don't remember anything  
2 specific that we could come out of this meeting  
3 and say, oh, yes, we're going to do this  
4 together, a specific area.

5                   And so that I think is, to Kim's  
6 point, if we had had a broader discussion, maybe  
7 we could have that the next time, that that  
8 becomes the next phase of it. We should then  
9 start to think about identifying those potential  
10 issues that we can then cooperate on specific  
11 items.

12                  CHAIR MILLER: My thought was that  
13 there might be some recommendation that came out  
14 of the whole water level panel that might be  
15 common with HSRP and IOOS. And if that didn't  
16 happen, that's fine.

17                  MEMBER THOMAS: I'm putting it in the  
18 notes for the next meeting because I've got a  
19 section also on that.

20                  MEMBER HALL: Just real quick while  
21 you're doing that, I really appreciated having my  
22 lunch, though, so I appreciate it. I think some

1 of us sometimes like to have a little bit of a  
2 break.

3 We get a little bit inundated with  
4 information so we like the flexibility we had at  
5 this meeting. So, whoever facilitated that,  
6 thank you very much.

7 MEMBER THOMAS: So shall I go on with  
8 -- I put down a couple more topics for the NOAA  
9 Administrator letter. Virginia, you very nicely  
10 typed in those first two.

11 Perfect, okay, well, we're going to  
12 have to come back number two after we receive all  
13 of Admiral Lautenbacher's comments. And we'll  
14 circulate them and come up with some joint  
15 statement there.

16 MEMBER PAGE: I'm not so sure that I  
17 think, what Kim is bringing up, I don't know if  
18 we need to have a joint statement.

19 So that's off the table. It's not a  
20 joint statement, it's a matter of if we want to  
21 mention a relationship with IOOS in our  
22 statement, I think.

1                   There might be some confusion because  
2 I think there's also a discussion that Julie and  
3 I would look into some joint document to kind of  
4 outline what the relationship might be with HSRP  
5 and IOOS in the future.

6                   And that would be a joint deliberate  
7 prepared document. That's not a joint statement  
8 but it's something that we can kind of socialize  
9 between our two different organizations.

10                   And then we agree once a year or  
11 whatever, some way that we might have more of a  
12 relationship with them than we've had in the  
13 past.

14                   And so that might be a different --  
15 maybe to think in that context. But in any case,  
16 I think this is our statement if we want to  
17 mention IOOS, which I think it has some merit.

18                   Maybe the last paragraph portion of it  
19 might be merit and would be worth incorporating.  
20 Other than that, I wouldn't really get into it.  
21 That's just my two cents anyway.

22                   VICE CHAIR SAADE: Agreed.

1                   MEMBER THOMAS: Okay, there's some  
2 mention -- oh, boy, this is not correct at all --  
3 but some mention about to me this lack of  
4 vertical datum, lack of shoreline, just the  
5 critical nature of mapping in Alaska and  
6 capturing the infrequent -- I don't know,  
7 observations up here.

8                   Ed, you're better at this one than I  
9 am or Juliana or someone. This lack of defined  
10 shoreline of --

11                   VICE CHAIR SAADE: I think that was an  
12 extension. My notes was that, and I got this  
13 from Admiral Smith on Monday, barge navigation in  
14 general is a big, big deal.

15                   MEMBER THOMAS: Barge navigation?

16                   VICE CHAIR SAADE: Barge navigation  
17 and bringing things to all these villages up and  
18 down the Bering Sea and on the North Slope.

19                   And I think we need to make some  
20 mention, however we want to say it, we have to  
21 emphasize the fact that the barge navigation  
22 aspect of things that go on in Alaska needs

1 support and needs attention.

2 MEMBER THOMAS: And so maybe that's  
3 kind of a lead-in, too, because then we can put  
4 Admiral Smith's little quote in that he said that  
5 I thought was so poignant too about how they need  
6 to support these user needs as they go into these  
7 remote locations or whatever.

8 CHAIR MILLER: But always think about  
9 what would you recommend to NOAA once you make  
10 that statement?

11 MEMBER THOMAS: Well, this is exactly  
12 that, that NOS needs to continue to keep in mind  
13 the user needs, particularly in these remote  
14 locations where there are such unique challenges  
15 and using the new technologies, using --  
16 basically think out of the box.

17 VICE CHAIR SAADE: Okay, so from my  
18 perspective, when you start talking about merging  
19 the terrestrial data with the bathymetric data  
20 and you move that datum through the shoreline, by  
21 definition you help define some of the  
22 requirements and the needs related to barge

1 navigation, for instance.

2 So all of it ties together in my mind.  
3 However, we want to say that, it all ties  
4 together.

5 MEMBER GEE: I think part of that is  
6 the requirements to do that is some of the  
7 fundamental infrastructure and data that needs to  
8 be put in place, which embraces all of the three  
9 sections of NGS.

10 It just has to have those CORS  
11 stations. We support having them, maintaining  
12 them in the expansion, same thing for CO-OPs in  
13 all those observations and then that's with the  
14 ongoing shoreline establishment and mapping.

15 And to do any of this, I think what we  
16 can say here in my opinion is because it is the  
17 frontier, it highlights the requirements for  
18 those things which we've discussed in other areas  
19 about the need for them. But seeing it in Alaska  
20 and seeing it in a frontier just highlights the  
21 need for the investment in that core data and  
22 observational infrastructure, something in that.



1                   MEMBER THOMAS: Well, just a critical  
2 need to maintain CORS stations or something like  
3 that that will remind us that we want to put some  
4 statement in there.

5                   CAPT ARMSTRONG: Seems to me we're  
6 conflating two issues here, one of the issues is  
7 underlying datum-type information and the other  
8 issue is the need for barge navigation between a  
9 couple meters of water depth and the shoreline.  
10 And so I think those --

11                   MEMBER THOMAS: The two different  
12 ones?

13                   CAPT ARMSTRONG: The two different  
14 things, the last mile issue that Admiral Smith  
15 responded that we don't always stop at four  
16 meters but in many areas, that's our policy and  
17 so we need to be sure we acknowledge that in  
18 these areas it's different.

19                   MEMBER THOMAS: So I think we want to  
20 break number three, where it says barge  
21 navigation, just put it on the next line and then  
22 we'll have to flesh out the wording exactly.

1                   Let's see, I just have two more  
2 things, one was this AIS Coast Guard issue that's  
3 come up so often. I think we want to acknowledge  
4 continuing support for investigating and whatever  
5 we can say they're pushing that forward.

6                   CHAIR MILLER: I would strongly  
7 support that. I talked to Mike, the Coast Guard  
8 guy, and he said he needs a push from somewhere  
9 and certainly the collaboration between Admiral  
10 Gallaudet and the Coast Guard, the leader of the  
11 Coast Guard, is a good opportunity.

12                   He said they need a push to get it  
13 over the one-yard line, I guess you'd call it,  
14 and so I think that's an important one that  
15 whatever NOAA can do to facilitate that last one  
16 yard would be excellent.

17                   I think that's a strong recommendation  
18 and it's doable, it's not new money. When you  
19 make recommendations, that's what you have to  
20 think of, what's doable, what makes sense.

21                   It's kind of like we've used in the  
22 past, instead of saying more money, say

1 prioritize funding. That's very different  
2 language than always asking for more money.

3 MEMBER GEE: So, in our letter to the  
4 Administrator with the recommendation that we  
5 acknowledge and support his contact and  
6 interactions with the Coast Guard and by that  
7 contact he addresses what we saw as a key blocker  
8 in the dissemination of the information.

9 CHAIR MILLER: Strong advocate would  
10 be a good word.

11 MEMBER HALL: I'm not sure this is  
12 prioritized funding, I think that's just an  
13 example she was using.

14 RDML SMITH: I even asked the Coast  
15 Guard specifically whether there's a money issue  
16 and they said absolutely not.

17 MEMBER HALL: Can you just put it up  
18 there? I was just letting her know.

19 MEMBER THOMAS: Just take out the  
20 prioritized funding right there, thank you.  
21 Juliana, did you have something to say?

22 MS. BLACKWELL: Yes, before we go too

1 far along with new bullets, I'm trying to  
2 understand what the last sentence in number four  
3 is and critical needs to maintain CORS stations.

4 So if it's the NGS CORS station -- is  
5 that what we're referring to? -- then it's not  
6 just maintaining it if we're going to establish.  
7 So I just want to make sure that --

8 MEMBER HALL: I think it's going to  
9 have to be wordsmithed.

10 I think we are relying on poor  
11 Virginia to type as we go so I think this is just  
12 reminders for -- I don't know who is writing the  
13 --

14 CAPT ARMSTRONG: CORS stations don't  
15 go in number four, they go up in number three.

16 MEMBER HALL: Right, they go up in  
17 number three. But I think these are reminders  
18 for whoever's writing the paper but I'm not  
19 entirely sure who's writing the final letter.

20 MS. BLACKWELL: Once we leave here and  
21 we look at it again, we're going to go -- so if  
22 we can at least just put it in number three then

1 that makes more sense.

2 Okay, thank you.

3 MEMBER GEE: Just to be clear, that's  
4 the establishment and then operation of the CORS  
5 stations, right?

6 MEMBER THOMAS: Critical needs to  
7 establish and maintain. Okay, I'll just breeze  
8 through two more I had and then anyone else is  
9 open to whatever.

10 I would like to -- also may we include  
11 --

12 MEMBER HALL: I'm sorry, real quick,  
13 when it comes to the AIS issue, I think we need  
14 to recognize Mike Emerson who was here, because  
15 he's the equivalent of a Rear Admiral.

16 He's an SES at Coast Guard so that is  
17 a big deal that he came out here from Washington  
18 D.C. and I'm not sure everybody understood that,  
19 that he is the Director of the Marine  
20 Transportation System for the Coast Guard.

21 So I just want to make sure if we're  
22 acknowledging Gallaudet, which is huge, I know

1 he's a level higher, several levels higher, as an  
2 Undersecretary, but I think we need to make sure  
3 for this one too, as we get into our  
4 acknowledging things, that be something that we  
5 really ping on because for the Coast Guard to do  
6 that to give him up for a week to come out here  
7 is a big deal.

8 MEMBER THOMAS: That's fine. I think  
9 we can thank CO-OPs for the document review, the  
10 opportunity for reviewing their strategic  
11 operating plan, is that what it's called?

12 And then the last thing that I have,  
13 I'm not quite sure how we want to -- but we had  
14 two Native tribal panel speakers and I thought  
15 maybe we could put something in about how their  
16 unique perspective or their insightful  
17 perspective was --

18 VICE CHAIR SAADE: I think one of them  
19 is recognizing the Lieutenant Governor in the  
20 words that were actually in the document from  
21 AOOs was pretty nice.

22 We can work on that and then

1 definitely, we want to recognize Willy today.

2 MEMBER THOMAS: Willy something. I  
3 think it would be nice to recognize Willy  
4 Goodwin. It's our local context. So those were  
5 the ones that I captured.

6 CAPT ARMSTRONG: Just to add to that  
7 list, given our little faux pas with the  
8 applause, I think we probably ought to make note  
9 in the letter how pleased we were that we got to  
10 video it.

11 VICE CHAIR SAADE: And we gave her a  
12 standing ovation at the end.

13 MEMBER HALL: And I think I did say  
14 that. We'll do all this of merit, everything  
15 that we needed to do. The reason I brought up  
16 Mike Emerson is because I don't think we  
17 recognized who he was here.

18 Are we going to go around and do just  
19 a quick round robin on what we think?

20 MEMBER THOMAS: As far as I'm  
21 concerned, yes.

22 CHAIR MILLER: I've got a couple more

1 that I think -- okay, so there was the gold  
2 standard issue and being able to combine.

3 And I think Rich's start on the Tier  
4 1, Tier 2, Tier 3 is excellent. I don't know if  
5 we want to say anything about that or not.

6 And then I thought a really important  
7 one, which kind of goes with the AIS thing, was  
8 how to communicate data, that would be a separate  
9 one. Throw darts, but I thought those were two  
10 important things that we've heard as well.

11 And by the way, for the new Panel  
12 members especially haven't been -- usually, the  
13 format of the letter that we've worked out over  
14 the past four years, which was sometimes very  
15 painful, is that we write a short paragraph in  
16 front that acknowledges the most important  
17 people.

18 I don't think in this case we can  
19 acknowledge everybody, that would take up a page  
20 in itself, all the USGS people. We give the  
21 primary recommendations immediately after that  
22 and then we have one and a half to two-page



1 meeting summary.

2 So, one of the aspects of writing this  
3 letter since I've been lead on it for a while is  
4 figuring out which goes in which bin.

5 Who are the most important people to  
6 acknowledge and one of the things that Shep  
7 pointed out is that Admiral Gallaudet was here  
8 for much of the meeting so how much we have to  
9 explain especially in the letter or how much we  
10 have to honor various people, especially in the  
11 letter, some or a lot of that could be moved back  
12 to the meeting summary that follows.

13 So that's just sort of a brief  
14 summary.

15 MEMBER THOMAS: And that did just  
16 remind me that we probably want to acknowledge or  
17 say how pleased we are that he's also on the  
18 Joint Committee with AMEC and when we talk about  
19 the joint things.

20 VICE CHAIR SAADE: That's on my list.

21 MEMBER THOMAS: Okay, other people?

22 VICE CHAIR SAADE: To be efficient,

1 let's go ahead and get the list, anybody that  
2 wants to add anything to the list, but let's kind  
3 of do it in an orderly manner so we can just move  
4 through here.

5 So you go ahead and start Larry.

6 DR. MAYER: I'm always last.

7 VICE CHAIR SAADE: Okay, sorry.

8 DR. MAYER: But I'll start anyway.

9 MEMBER GEE: Sean was complaining he's  
10 in the middle. Maybe he should start.

11 DR. MAYER: I'll go ahead.

12 VICE CHAIR SAADE: You only get to do  
13 bullet items.

14 DR. MAYER: One is we spent a lot of  
15 time talking about how thrilled we were with what  
16 we saw at the Marine Exchange and yet, that is  
17 not acknowledged.

18 And I think there's more than just an  
19 acknowledgment of thanks to Ed Page, I think  
20 there's a message there in terms of providing a  
21 community service and a critical one and private  
22 government partnerships and things like that.

1           So I think should probably be touched  
2 upon and use those as a good example. And the  
3 other is something, and this may be very  
4 premature because we really didn't discuss it,  
5 Andy and I just threw it out in response to the  
6 Lieutenant Governor's statement.

7           And that was this thought that, and  
8 this may go in bullet four, I don't know, that  
9 maybe the idea of a small boat presence of NOAA  
10 in the region here, because of the uniqueness of  
11 this area, might be something to think about.

12           But there may be real ramifications to  
13 that that we should think through. That might be  
14 something for the panel to think about.

15           MEMBER PAGE: Yes, so we might want to  
16 think about that one first but this would be the  
17 place if we --

18           VICE CHAIR SAADE: It's good to have  
19 it on the list. Andy, you're next. You're done?  
20 Okay, thanks. Sorry, Ed.

21           MEMBER PAGE: Yes, I agree with what  
22 you said that actually, the Admiral was here for

1 quite a bit so it doesn't require too much  
2 explanation.

3 I'm thinking just kind of about the  
4 Marine Exchange, which I certainly appreciate,  
5 Larry, bringing it up.

6 I think also you can almost comment it  
7 is a tool that can be used to help NOAA implement  
8 some of these initiatives in Alaska because we're  
9 already doing some of that.

10 So it's a good partnership but also --  
11 not thank me but say, great tool for us to help  
12 us implement these things in a unique,  
13 challenging, new marine environment.

14 That's all. That would probably be  
15 good, I think.

16 MEMBER THOMAS: It's number eleven.

17 MEMBER PAGE: But I think all the  
18 other stuff really looks great. I'm trying to  
19 figure out how to condense the thing.

20 I guess the other thing, did we really  
21 mention Arctic necessarily on one line somewhere  
22 along there?

1                   And maybe it's almost inherently  
2                   obvious but if nothing else, we thought the  
3                   panel, thank you for these people, they gave us a  
4                   better perspective or understanding of the  
5                   challenges we have in the Arctic, the role of  
6                   NOAA and the Coast Guard.

7                   VICE CHAIR SAADE: Acknowledging the  
8                   quality of the panel.

9                   MEMBER PAGE: Now we have a better  
10                  handle on what the needs are and what our work  
11                  list is like so it goes beyond just saying thank  
12                  you but this is what we're doing with that  
13                  information. We're smarter as a result of it.

14                  But that's a good list.

15                  VICE CHAIR SAADE: Okay, we're going  
16                  to skip Julie.

17                  MEMBER MAUNE: Okay, I guess I'm up  
18                  then.

19                  I would like to acknowledge the joint  
20                  meeting with the AMEC that is now co-chaired by  
21                  Admiral Gallaudet, the importance of that and the  
22                  fact that AMEC is now prioritizing bathymetric

1 mapping and the integration of topographic and  
2 bathymetric data of the shorelines of Alaska,  
3 something along those lines.

4 It's prioritizing bathymetric mapping  
5 and the integration of topo and bathymetric data  
6 and the integration of topographic and  
7 bathymetric data along the shorelines.

8 And the AMEC now co-chaired by Admiral  
9 Gallaudet. Now co-chaired by Admiral Gallaudet;  
10 it used to be chaired only by USGS.

11 I would say AMEC, now co-chaired by  
12 Admiral Gallaudet. That is now prioritizing  
13 bathymetric mapping.

14 MEMBER THOMAS: We can get the  
15 spelling and everything down, Virginia, later.

16 MEMBER MAUNE: Now co-chair, yes.  
17 That's approximately it.

18 MEMBER HALL: Didn't the Admiral say  
19 this is the second time he had been the co-chair  
20 of that meeting?

21 MEMBER MAUNE: He said it's the second  
22 time.

1                   MEMBER HALL: So do we need to tell  
2 him that we recognize that he recognizes that  
3 he's the co-chair?

4                   VICE CHAIR SAADE: That's okay. This  
5 is really important, this is going to get  
6 mentioned.

7                   MEMBER HALL: AMEC is completely  
8 important in the NOAA partnership with them.

9                   VICE CHAIR SAADE: I don't think we  
10 should break with the way -- it's okay that he  
11 was here but this is the way we do our letters  
12 and if we break it, I think it's going to be a  
13 big mess.

14                   MEMBER HALL: So my point was that we  
15 could just say it's NOAA working more directly  
16 with USGS and it's now almost an equal  
17 partnership.

18                   I don't think we have to say good job,  
19 Gallaudet, you're the co-chair. I think we say,  
20 great job NOAA for taking on a leadership role  
21 with USGS.

22                   I think we can find a different way to

1 say it, which is effective, without telling the  
2 Acting Administrator --

3 VICE CHAIR SAADE: This letter goes in  
4 the public domain, correct?

5 MEMBER HALL: Yes.

6 VICE CHAIR SAADE: I think it's really  
7 important to say it's Gallaudet. It's more than  
8 just him that is going to be reading it. Sean?

9 MEMBER DUFFY: I'm just going to keep  
10 stirring my gumbo. I've said all I've got to  
11 say.

12 VICE CHAIR SAADE: Okay.

13 MEMBER KELLY: I think it's important  
14 that we recognize the benefit of the joint  
15 meeting and doing it here in Alaska that brought  
16 it out, the ability to see the relatively  
17 untapped potential of the resources available  
18 through the IOOS groups and the Marine Exchanges.

19 And I would encourage NOAA to create  
20 a strategy to enhance the utilization of that  
21 synergy in getting local assets and specifically  
22 task them with items to look into and build



1 together from a local basis where it can build up  
2 into a larger national project.

3 It's a mouthful but I just saw a whole  
4 row of people representing assets and each of  
5 those people represented probably 100 or more  
6 companies and organizations in each of the  
7 Regional Associations.

8 And we have such huge potential to get  
9 things that I personally am a Vice Chair of the  
10 MARACOOS of one of those regional associations  
11 and we make up our own path as to what we think  
12 is cool to do.

13 And I don't know, Julie, if you guys  
14 do the same but I think a more structured  
15 approach led by NOAA that could find ways to  
16 utilize those people as well as other national  
17 organizations with local roots, such as the  
18 Marine Exchanges, it could bring a lot of  
19 grassroots value into solving some of these  
20 problems.

21 MEMBER ATKINSON: I don't see much on  
22 the Arctic. We were shown things about the hub

1 at Adak and I'm not going to give you a quotation  
2 but I think we just need more on the Arctic, the  
3 importance of merging part of the Arctic,  
4 including the -- I'm running out of words --  
5 channels, whatever.

6 VICE CHAIR SAADE: Don't forget this  
7 isn't going to be the last time you see this so  
8 additions and subtractions are still coming in  
9 the weeks ahead.

10 MEMBER ATKINSON: I'll email it to  
11 you.

12 MEMBER LOCKHART: So nothing to type  
13 from me either, but I do want to let folks now  
14 what I thought was important from the meeting,  
15 and they're pretty much already covered here.

16 As kind of a techy person, I always  
17 like to think there is a solution for every  
18 problem and it never ceases to amaze me.

19 I come to these meetings and we're  
20 doing a lot of fantastic things in the way we  
21 collect data and get data, and we do a really bad  
22 job of making that data useable to the public.

1           And so the example that came out of  
2           this meeting for me was the weather and the AIS  
3           and how the Marine Exchange is doing a wonderful  
4           job of doing that up here but the fact that  
5           doesn't happen on a regular basis nationally just  
6           astounds me. It really does.

7           And so things like that, I think, have  
8           to make it into one of the top recommendations  
9           for the letter because the data is available and  
10          it sounds like it's just a bureaucratic problem  
11          more than anything else, to make this happen.

12          It's the same thing with the Army  
13          Corps, it's the same thing with a lot of other  
14          problems we see at these meetings and we seem to  
15          just go on a repeat cycle with them.

16          I think the solutions are all there,  
17          we just for some reason can't get traction in  
18          enacting them. So for me, that was the one thing,  
19          was the Marine Exchange and the AIS stuff.

20                 MEMBER THOMPSON: We heard from  
21                 multiple speakers the need for more real-time  
22                 data so I think we need to mention that in our

1 recommendation.

2 MEMBER HALL: And again, I think this  
3 goes back to up to gold standard almost where you  
4 don't need -- the perfect is the enemy of the  
5 good sometimes.

6 And I think it goes with one of these  
7 and I'm not sure if it's the Marine Exchange  
8 because it was our best example at this meeting.  
9 But I don't know, agility, agility, agility,  
10 ingenuity, creativity.

11 Those are all things that NOAA cannot  
12 always do and I think that we're reminded of that  
13 almost every meeting but I think it was more  
14 evident here given what the Marine Exchange can  
15 do versus others in the AIS issues.

16 But I think efforts to increase  
17 nimbleness, if that's a word, Shep, are key to  
18 keeping hydroservices responsive to mariner needs  
19 and I think I am happy to send that sentence if  
20 people like it.

21 And it's, again, not necessarily new  
22 but certainly we can see how successful it is up

1 here and then echoing what the Acting  
2 Administrator said, which you might like to hear,  
3 NOAA can continue to leverage those partnerships.

4 And partnership is always a key things  
5 that we talk about, and where the bureaucratic  
6 red tape may not be so difficult to get around.

7 So that's the big key takeaway for me.

8 MEMBER GEE: There's a number of  
9 things that I think you have already covered.  
10 One is we mentioned the list but we didn't want  
11 to put the full list because there's too many.

12 I think that's a significant thing we  
13 should mention. I think it's the most I've seen  
14 at that level at a meeting. Maybe it's just  
15 because it's a nice place to come in.

16 That's to Juneau but who knows? There  
17 was a significant number of people that  
18 contributed at the meeting for sure.

19 Yes, the Marine Exchange again I  
20 think, and generally that kind of Alaskan  
21 attitude is like, yes, we know we're remote and  
22 we don't have all the resources and we get stuff

1 done and we'll create solution.

2 And I think Shep said earlier that  
3 you're not trying to take that back. So again, I  
4 think I agree with Carol and Kim here that if you  
5 recommend that nimbleness and being able to be  
6 more flexible and somehow it's getting around  
7 that bureaucracy somehow and that should be a  
8 goal.

9 And relating to what Gary says, we're  
10 at sea and things change regularly and it's  
11 important that we do get real-time information.  
12 It's different to on land quite often.

13 I haven't finished but you can  
14 interrupt me.

15 MEMBER LOCKHART: Sorry, it just  
16 brought to mind that I think the other example up  
17 there of that agile behavior is the Tier 1, Tier  
18 2, Tier 3 thing that AOS has done.

19 MEMBER GEE: And I say this is not an  
20 additional point.

21 To be honest, I think there's a number  
22 that go together and that flexibility to be able

1 to use what you have whether it's the gold  
2 standard or anything you have and just get on  
3 with it is something that we should be able to  
4 transfer elsewhere.

5 And I think in other places we see  
6 people complain about not having everything but  
7 then sit back and wait for the government or some  
8 other organization to get it to them.

9 So, that's a great example of a  
10 public-private partnership. So if we look at our  
11 issues, it embraces a whole load of what we do.  
12 One of the ones I mentioned earlier and I think  
13 it's kind of up in -- I've lost the top now.

14 There was three which was the vertical  
15 datum and then there was also about AMEC. I too  
16 was pleased to see that getting to the blue bit,  
17 but it does highlight issues.

18 You can say, oh, yes, that's great,  
19 let's get to the topo-bathy but I don't know  
20 whether you can recommend it. But it's important  
21 to do that fundamentally.

22 You have to have that data and the

1       infrastructure, you have to have the CORS  
2       stations. So they kind of go together and the  
3       water level observations and network have to be  
4       there, and you have to invest in that and it's  
5       not going to be cheap.

6                So I think somehow acknowledging that  
7       the investment of that in remote areas is going  
8       to be significant.

9                And even just to continue to operate  
10      those sort of things is not -- and I think you  
11      again -- briefly I talked to Rick after the  
12      question of the panel about tide gauges and  
13      current leaders and things.

14               And I think you already do that and  
15      you take a ship to a remote area and you try and  
16      do as much as you can so I think we have that  
17      flexibility within the organization in a remote  
18      area.

19               And then also taking that flexibility  
20      down into the other areas I think is key. Yes,  
21      that's it, thanks.

22               MEMBER SHINGLEDECKER: I would add



1 that I was thinking about this and I think this  
2 is now the 14th letter that I've helped draft so  
3 trying to give that perspective to it to really  
4 challenge the panel that less can be more.

5 I remember Joyce and I battling, just  
6 going back and forth on some letters that just  
7 had twelve recommendations. And we really  
8 thought deliberately about how we wanted to  
9 structure the letters to get our primary points  
10 across.

11 The thank yous, the meeting summary as  
12 a separate document and then hit them hard with  
13 four or five.

14 I mean, we did come up with a number  
15 that we tried to settle on but try not to boil  
16 the ocean because it's really hard to boil the  
17 ocean and if you can really focus in on a few, I  
18 think that will give you the greatest benefit.

19 If I were to add anything, I don't  
20 know that it has to be in the letter, I would  
21 just come at it from really the 100,000 foot  
22 level or even higher, that I'm just really

1 appreciative in the current climate that this  
2 Federal Advisory Committee, and as Glen tells me,  
3 because it's in law, we're able to continue to  
4 meet.

5 But I think that's really worth noting  
6 or appreciating the priority that NOAA has  
7 placed on the work that we do.

8 You know, flying everybody out to  
9 Alaska isn't cheap, but the value that I have  
10 gotten from this Panel meeting in New York,  
11 meeting in Charleston, meeting in Louisiana,  
12 meeting in Alaska, and being able to pull all of  
13 our expertise, we each know one or two portions  
14 of the work of the three Offices.

15 But by traveling regionally and  
16 hearing from the regional stakeholders, I think  
17 it really allows all of us to apply our expertise  
18 on a much broader scale in advising NOAA and I  
19 just think that's really important and I think  
20 that should continue.

21 CHAIR MILLER: And a question, I agree  
22 with Susan greatly that we need to decide which

1 are our three of four most important statements  
2 there. Virginia, on number ten, would you take  
3 out the word AIS?

4 MEMBER THOMAS: Joyce, so many of  
5 these are actually just remembering to thank  
6 something and we need to group them into -- do we  
7 really want to do it here? I was going to group  
8 them, put it into the letter template format that  
9 you have, group them by the thank yous, I'll put  
10 in the recommendation.

11 People can then prioritize via email  
12 is what I was going to suggest.

13 VICE CHAIR SAADE: I think that's fine  
14 and then we can start redlining things or yellow-  
15 enhancing them.

16 MEMBER THOMAS: A lot of these we can  
17 combine and just so much of this is just thoughts  
18 to get it in the letter one way or the other.

19 MR. EDWING: I don't have anything to  
20 add but I think it's number five. My must-have  
21 is the Coast Guard AIS. I really appreciate that  
22 being on there.

1           For the first time in a long time I'm  
2 starting to get a glimmer of hope that we may be  
3 able to move this issue. I certainly appreciate  
4 the thanks us for the strategic plan.

5           So number nine, I think this is maybe  
6 your potential joint statement or joint  
7 recommendation for IOOS and the HSRP because I  
8 think you could look at the collaboration between  
9 the federal down to the local as a model for  
10 other areas.

11           And I'm going to go back to a number  
12 of years ago, Zdenka Willis, the former Director  
13 of IOOS, and I sat down and we put together a  
14 strategic white paper on how can we in the IOOS  
15 Regional Association work together to gather more  
16 water level data along the nation's coast?

17           And from my perspective, I was looking  
18 to fill NWLON gaps but they obviously have these  
19 as well.

20           We developed that Tier 1, Tier 2, Tier  
21 3 concept because we recognized we could talk all  
22 day about the spectrum of accuracy and things

1 you're collecting water level to but until you  
2 have some ways of binning things and the tiering  
3 has a quantitative part to it, behind each tier  
4 there's an error budget and Tier A is our gold  
5 standard to why we need to collect things to that  
6 standard.

7 But also we grouped applications with  
8 those tiers which I think really help people  
9 understand how to use that.

10 And really, when we put out that we  
11 circulated that policy to all of the IOOS RAs and  
12 it was really AOOS that jumped up and waved their  
13 hand the most and said we really need to work  
14 with you for obvious reasons, but it is a model  
15 for perhaps other locations as well.

16 So I won't go on for too much more but  
17 I think you've got a series of words there but I  
18 think those can kind of be grouped into that kind  
19 of joint recommendation of, hey, we saw something  
20 really good here, this might be something to  
21 emulate in other areas of the coast that would  
22 benefit from it.

1                   Not every other coast may need it but  
2                   some do. Thank you.

3                   MS. BLACKWELL: So, I won't add any  
4                   either but I'll just also echo what Richard is  
5                   saying but also include from the geodesy side  
6                   which is already covered but agree that there may  
7                   be a way to lump that together.

8                   Because I think we all are trying to  
9                   get as much relevant data that will meet our  
10                  minimum requirements so that we can make better  
11                  products, better tools for this challenging area.

12                  So there's an opportunity there but we  
13                  are going to need to fill some gaps both on land  
14                  and along the coast so that we can provide that  
15                  information to Alaska.

16                  And one other shout-out and that is to  
17                  the Nav Manager and to the regional advisor that  
18                  are here because making these meetings successful  
19                  requires a lot of on-the-ground contacts and  
20                  effort and I think you guys both did a wonderful  
21                  job of supporting the entire HSRP in your Office  
22                  Directors.

1                   So thank you.

2                   MEMBER GEE:    Could I just add?

3                   VICE CHAIR SAADE:  Let others of us  
4                   finish.

5                   MEMBER GEE:    I'm just making up for  
6                   those questions that I got asked the other day.

7                   We didn't mention actually VDatum  
8                   specifically in that for the vertical and the  
9                   topo-bathic and I think that's kind of important  
10                  that that be in there as part of that vertical  
11                  infrastructure comment.

12                  VICE CHAIR SAADE:  The three of us are  
13                  left.  Who wants to go first?

14                  CHAIR MILLER:   I already had my say.

15                  VICE CHAIR SAADE:  Okay.  I have two  
16                  things.  in addition to the number of upper-level  
17                  people who contributed to the meeting, I think we  
18                  should add the number of Alaskans and everyday  
19                  people that contributed to the meeting.

20                  That was an impressive group of people  
21                  that showed up every day and we should  
22                  acknowledge it.

1                   And the other thing to throw out there  
2                   because it may be the point to mention it here  
3                   was when the Admiral said the Critical Minerals  
4                   Executive Order, and we're going to go grab all  
5                   the minerals that are on the seabed on the  
6                   Clipperton Ridge.

7                   And I don't know if he said that in  
8                   your meeting as well, Dave?

9                   MEMBER MAUNE: It was discussed. I'm  
10                  not sure that he brought it up. I think somebody  
11                  else did.

12                  VICE CHAIR SAADE: So, the fact that  
13                  he took it upon himself to mention it in our  
14                  meeting, I think we should at least consider  
15                  referencing it. We can always throw it out, but  
16                  I'd like to see it on the list to start with and  
17                  then we can decide if we need to eliminate it.

18                  It would be number twenty and it's the  
19                  Critical Minerals Executive Order and we're going  
20                  to, quote, study the Clipperton and expand to all  
21                  of this, end quote.

22                  Just put in the Critical Minerals



1 Executive Order and we'll do the rest later.

2 Okay, Shep, your turn. Take us home.

3 RDML SMITH: The two things that I  
4 think were mentioned and I thought reflected that  
5 I don't think made this, one is the  
6 implementation of the National Charting Plan and  
7 particularly building all those large-scale  
8 charts.

9 That's probably the most significant  
10 effort we're going to have in Coast Survey to  
11 deliver value from the hundreds of millions of  
12 dollars we've already invested in surveying.

13 And we can't be complacent about that  
14 because frankly, it's not funded. So don't  
15 assume that just because we're talking about it  
16 optimistically that it's going to happen.

17 If we want to make it happen we're  
18 going to need some help from the public and  
19 stakeholders to keep our eye on the ball for a  
20 decade to get it done.

21 And the second is the examples we had  
22 heard of small areas being really important and

1       how the square nautical miles and percent covered  
2       is not a very good measure of cost or value for  
3       survey work, and that really targeted work can be  
4       really high-value.

5                     And I think that's all I have to add.

6                     VICE CHAIR SAADE:   So I think we have  
7       enough material to work with.

8                     So, look, we can keep talking about  
9       things, I just want to take a moment to make a  
10      tiny attempt to thank everybody and I know it's  
11      going to be a mess because we're going to leave  
12      some out, which is really terrible.

13                    So I have a few lumped-in ones.   So  
14      first of all, Lynne and your staff, thanks a lot,  
15      I thought this worked out great.   And I think we  
16      should thank the folks in this building, this was  
17      a good setup here.

18                    There's no windows but technically  
19      speaking, it really worked out well with the  
20      size.   It was really nice that we could stretch  
21      out a little bit on the tables and the two-pound  
22      burrito was really good.

1                   Joyce and Carol and Susan, of course.  
2           Personally, I'd like to thank the City of Juneau  
3           and Alaska, this was a really great venue and the  
4           weather was real, it was normal.

5                   So we got a taste of that. It's a lot  
6           better than Houston, I'll tell you that. I'm  
7           going to mention Ed Page again because I know --  
8           really, Ed, it worked out great.

9                   The fun stuff, the technical stuff,  
10          your anecdotes and stories and everything just  
11          really added to the whole trip.

12                   So thanks.

13                   MEMBER HALL: About that specifically,  
14          I did submit to the three leaders.

15                   Just a quick letter from us I think is  
16          really important, especially if we want Sean  
17          Duffy and his team to help us out for New Orleans  
18          to recognize our appreciation.

19                   VICE CHAIR SAADE: I'm going to lump  
20          it all into the NOAA staff that contributed to  
21          making this happen and the couple of subsets of  
22          that would be Bart and Nick and then Laura.

1                   Really thank you all, that really  
2                   helped the process. Putting the panels together  
3                   was excellent. Let's face it, universally every  
4                   single one of the panels hit a home run, it was  
5                   really good and really informative.

6                   And I thank the panelists even though  
7                   they aren't here, I thank the Congressional  
8                   staff, that was a great turnout and as we  
9                   mentioned before, the Alaskans that showed up and  
10                  contributed to the whole thing.

11                  So I probably missed about 50 people  
12                  in that. All of our technical support staff  
13                  here, yes, so thank you guys.

14                  So I think that's everything that we  
15                  need to get done. If there's any other topics  
16                  that y'all want to talk about?

17                  MEMBER PAGE: Can I just say one  
18                  thing? At one point, Admiral Smith was saying  
19                  nice things about our agility and ability to do  
20                  things and how can we be like that?

21                  And I was really impressed by Admiral  
22                  Gallaudet's comment back saying you are

1 innovative, you are doing this stuff, and I  
2 really do think so.

3 I kid with my staff, I say when I come  
4 out of these meetings my IQ is higher because  
5 there's so many incredibly intelligent people but  
6 it goes down pretty quickly unfortunately.

7 But I think that I am truly impressed  
8 by the caliber of your staff and innovative  
9 approaches and whatever that NOAA does, but I  
10 also realize sometimes your hands are tied  
11 because you've got to go to Congress and other  
12 processes.

13 I don't have that, I can be very  
14 reckless and I can take chances. It didn't work  
15 out, fine. I always tell people 80 percent B  
16 that's good because I graduated with a C so we're  
17 doing better.

18 So I not only expect it but Congress  
19 is less tolerant, if you will, and so we have a  
20 different niche but I am truly impressed by your  
21 staff and the creativity and I just get more and  
22 more impressed.

1                   And I was having a discussion with  
2                   Mike Emerson the other night over a couple of  
3                   beers and he was saying the same thing, that  
4                   NOAA, what a phenomenal organization and the more  
5                   he learns about it, like myself, the more he  
6                   loves it and the more impressed by it.

7                   And so kudos to you, Admiral, and your  
8                   staff, and the panel that contributes so much  
9                   time.

10                  And so my goal was to really entertain  
11                  you a little bit, give you a good facility, make  
12                  you feel -- because it's really more about  
13                  appreciating what you all do and so that's why I  
14                  kind of rolled out the red carpet, if you will,  
15                  more or less.

16                  We got some rain but thank you, sir.

17                  MEMBER THOMAS: And actually, I think,  
18                  too, Juliana and Rich, we should all say thanks  
19                  for all three of them because sitting through our  
20                  discussions has to be painful.

21                  MEMBER THOMPSON: Do we need to take  
22                  any action on the charter? Do we need to do

1 anything? So I'll make a motion that we accept  
2 it as is with minor changes by the legal counsel.

3 VICE CHAIR SAADE: Everybody in favor?

4 (Chorus of aye.)

5 VICE CHAIR SAADE: Motion passed. And  
6 I'll say one more thing, thank you all for  
7 nominating me to this position.

8 It's really a privilege and an honor  
9 and I'm looking forward to working with you all  
10 for the next meeting or two or however long this  
11 thing lasts.

12 But there's been a really good  
13 standard set by Joyce and others and I'm really  
14 looking forward to following in those footsteps.

15 CHAIR MILLER: You have to shrink your  
16 feet.

17 VICE CHAIR SAADE: Do I get to gavel  
18 it? Meeting adjourned.

19 (Whereupon, the above-entitled matter  
20 went off the record at 3:55 p.m.)  
21  
22

## A

**a.m.** 1:12 5:2 121:21,22  
**abbreviate** 235:12  
**ability** 62:6 103:5  
 296:16 316:19  
**able** 6:12 8:14 14:10  
 27:16 28:12 32:22  
 36:2,5,7,10 43:14  
 55:4 56:20 57:4 68:16  
 76:16 80:19 82:12,19  
 83:3,4 84:21 85:1,4  
 89:3 99:8 103:18  
 104:17 110:10 111:19  
 115:17 121:3 126:16  
 126:19 127:2 129:11  
 129:13 154:1 167:1  
 168:2 179:18 180:20  
 180:21 181:18,20  
 182:11 186:2 198:4  
 211:11 288:2 302:5  
 302:22 303:3 306:3  
 306:12 308:3  
**above-entitled** 121:20  
 169:21 319:19  
**abreast** 174:13 222:3  
 228:6  
**absolutely** 15:1 76:19  
 107:13,21 188:13  
 232:21 273:17 283:16  
**absorbed** 32:4  
**academia** 206:9  
**academic** 57:2 186:15  
**Academies** 155:16,21  
 156:3  
**academy** 48:22 50:1  
 123:2 156:16  
**accelerating** 20:9  
**accept** 319:1  
**acceptable** 77:15  
**access** 69:21 125:11  
 176:1 251:17  
**accessible** 171:11  
**accessing** 192:21  
**accident** 237:10  
**accidents** 237:12  
**accolades** 56:11  
**accomplishment** 52:22  
 67:8  
**account** 176:3 238:18  
**accountability** 247:13  
**accountable** 196:17  
**accrue** 272:17  
**accuracy** 205:5 308:22  
**accurate** 112:11 121:3  
 142:1 171:11 178:7  
 213:1  
**accustomed** 120:7  
**ACE** 256:15

**achieve** 35:22 89:3  
**acknowledge** 134:2  
 158:4 167:15,20  
 267:22 281:17 282:3  
 283:5 288:19 289:6  
 289:16 293:19 311:22  
**acknowledged** 58:13  
 68:14 95:6 290:17  
**acknowledges** 288:16  
**acknowledging** 154:10  
 267:18 285:22 286:4  
 293:7 304:6  
**acknowledgment** 268:5  
 290:19  
**acquire** 43:7 195:6  
 196:16  
**acquisition** 211:1,6  
**acquisitions** 42:11  
**act** 66:1 102:16 140:8  
**Acting** 2:10 157:4 192:2  
 296:2 301:1  
**action** 9:15 52:17  
 253:16 318:22  
**actioned** 247:11,12  
**active** 93:8 173:11  
 195:14  
**activities** 10:13 29:10  
 39:12 54:11,11,20  
 67:7 69:17 84:1 91:13  
 175:20  
**activity** 42:18 62:17  
 119:4,8 137:5 219:22  
**actual** 22:19 128:2  
 134:18 150:9 196:18  
 197:6  
**Adak** 75:6 298:1  
**adapt** 32:4 64:14  
**adaptable** 32:10  
**adapted** 64:7  
**adapting** 65:15 70:13  
**ADCP** 215:21  
**add** 10:5 21:7 24:20  
 28:8 112:19 116:21  
 125:15 128:1 148:5  
 151:2 161:14 166:19  
 188:5 192:19 210:20  
 226:20 228:11 229:19  
 236:11 241:10 273:4  
 287:6 290:2 304:22  
 305:19 307:20 310:3  
 311:2,18 314:5  
**added** 248:2 315:11  
**adding** 187:22  
**addition** 37:4 173:5  
 190:19 311:16  
**additional** 191:6 199:20  
 216:10 272:18 302:20  
**additions** 298:8

**address** 23:4 87:18  
 89:9 91:5 94:17  
 107:12 235:22 239:17  
 249:5,7 250:1,11,14  
**addressed** 26:5 252:1,3  
**addresses** 271:1 283:7  
**addressing** 4:4 248:17  
 248:19  
**adherence** 69:22  
**adjacent** 202:8  
**Adjourn** 4:22  
**adjourned** 319:18  
**adjudicate** 166:1  
**administration** 1:3  
 51:10  
**administrator** 157:4  
 161:12 228:18 243:11  
 247:6 261:12 266:19  
 276:9 283:4 296:2  
 301:2  
**Admiral** 2:9,11 5:9 14:6  
 14:21 27:10 33:11  
 35:16 50:4,18 51:5  
 55:11 61:10 86:13,14  
 98:8 106:19 115:18  
 115:19 135:5 139:19  
 140:3 148:15 167:15  
 182:4 187:10 191:13  
 229:21 230:15 231:8  
 267:22 268:3 270:20  
 274:1 276:13 278:13  
 279:4 281:14 282:9  
 285:15 289:7 291:22  
 293:21 294:8,9,12,18  
 312:3 316:18,21  
 318:7  
**adopted** 80:2 81:20  
 83:20  
**advance** 174:18  
**advantage** 27:5 64:12  
 123:14 215:17  
**advantages** 268:12  
**advice** 124:10 222:9  
 228:17 261:19,22  
 264:14  
**advising** 306:18  
**advisor** 173:16 174:11  
 310:17  
**Advisors** 174:2  
**advisory** 39:14 124:7,9  
 245:20 250:6 271:13  
 272:19 306:2  
**advocate** 21:11 168:5  
 283:9  
**advocates** 97:19  
**advocating** 32:21  
**aerial** 195:17 227:5,17  
**Affairs** 2:12

**affect** 170:20 176:6  
**affinity** 271:16  
**afford** 207:6  
**afforded** 170:8  
**afternoon** 14:7 25:1  
 35:6 40:20 131:21  
 168:16,19 182:3  
 188:18 209:5  
**age** 133:22  
**agencies** 10:14 24:12  
 33:2,4,5 35:9 54:9  
 58:8 62:12 67:5 95:2  
 96:20 111:5 117:7  
 127:7 155:22 156:1,8  
 156:10 160:3 175:14  
 204:5 231:5,22 254:1  
**agencies'** 206:6  
**agency** 135:1 171:14  
 196:16  
**agenda** 38:13 274:7  
**agendas** 169:15  
**aggregating** 206:20  
**aggressively** 13:3  
**agile** 8:8,13 9:5 10:2  
 29:13 115:4 225:16  
 302:17  
**agility** 24:7 30:13 300:9  
 300:9,9 316:19  
**agnostic** 205:1  
**ago** 33:1 56:2 72:8  
 120:3,9 136:9 196:7  
 224:5 227:3 237:5  
 244:18 247:4 308:12  
**agree** 27:12 47:14  
 96:15 129:16 134:14  
 142:13 144:14 145:10  
 147:13 164:17 232:21  
 241:7 248:7 266:21  
 274:19 277:10 291:21  
 302:4 306:21 310:6  
**agreed** 44:10 80:13  
 277:22  
**agreement** 80:4,9 82:10  
 82:16 195:1 221:13  
**agreements** 79:3,7 85:7  
**agricultural** 258:8  
**aground** 93:3  
**ahead** 11:17 49:8 72:16  
 94:1 114:1 140:21  
 158:15,20 159:4  
 161:17 170:6 178:20  
 179:3 252:8 257:19  
 271:8 290:1,5,11  
 298:9  
**aid** 128:9,16 130:15  
 149:18 150:3,5,9,9,10  
 150:11,14 196:1  
 212:9



- aids** 49:17 59:2 61:5  
 149:14 150:1,15,21  
**aim** 29:18  
**air** 57:7 161:7  
**airborne** 219:22 220:2  
**aircraft** 55:16  
**airplane** 84:6  
**airplanes** 53:5  
**airport** 84:7  
**airports** 103:4,22  
**airwaves** 141:10  
**AIS** 11:7,9 17:2 18:20  
 20:5,5 21:10 30:17  
 34:2,20 40:9 60:15  
 83:4 84:19,20 114:9  
 122:14 123:3,15  
 126:12 127:2 128:16  
 128:16,17 130:3,20  
 131:20,21 132:11  
 141:5,14 246:1 251:5  
 282:2 285:13 288:7  
 299:2,19 300:15  
 307:3,21  
**Alameda** 196:8  
**Alaska's** 271:16  
**Alaska-native** 97:3  
**Alaskan** 36:2 61:18  
 70:15 96:7 107:14  
 301:20  
**Alaskans** 18:4 311:18  
 316:9  
**albeit** 48:2  
**alert** 151:16  
**alerts** 272:14  
**Aleutian** 71:14 181:7  
**Aleutians** 71:9  
**align** 61:13  
**aligned** 51:1  
**alignment** 97:11  
**all-of-the-above-effort**  
 98:22  
**Allen** 30:22 100:12  
**allocated** 116:15  
**allowed** 103:12  
**allowing** 27:9 90:10  
 157:12  
**allows** 99:12 101:16,17  
 306:17  
**alternative** 34:16 80:2  
**amaze** 298:18  
**amazing** 6:18 8:7,8  
 12:20  
**Amazon** 92:11  
**AMEC** 7:12 14:9,19,21  
 22:14 30:3,4 32:14  
 35:5 267:20 268:13  
 270:5 289:18 293:20  
 293:22 294:8,11  
 295:7 303:15  
**American** 28:11 95:13  
**AMMC** 66:16 67:1,8  
**amount** 39:1 77:12  
**analogy** 191:12  
**analysis** 54:10 58:3  
 190:18 203:22 207:2  
 216:6  
**analyze** 177:12  
**analyzing** 192:14  
**anchor** 81:11  
**anchorage** 93:16  
 101:10  
**anchorages** 182:22  
**ancillary** 217:5  
**Andy** 2:2 21:16 136:3  
 142:11 143:6 291:5  
 291:19  
**anecdote** 264:11  
**anecdotes** 315:10  
**angle** 136:16 195:21  
**animals** 65:5 80:18  
**Ann** 87:5  
**Anne** 1:19 144:20  
 146:22 147:1,20  
**Anne's** 145:13  
**announced** 270:19  
**announcement** 155:11  
 155:13 189:13  
**annually** 173:22 177:20  
**answer** 23:17 24:1  
 38:21 114:2,13  
 120:21 126:14 172:22  
 174:4 176:7 190:2  
 210:7 214:4,7,18  
 225:17  
**answers** 135:10  
**Antarctic** 88:13  
**Antonsen** 179:9  
**anybody** 33:7 39:15  
 92:7 135:10 236:10  
 241:8 290:1  
**anymore** 40:6 78:11  
 132:5  
**anyway** 16:14 48:9  
 133:6 141:4 148:20  
 163:14 167:9 277:21  
 290:8  
**anyways** 109:9  
**AOOS** 82:6 100:1 209:7  
 272:4 286:21 302:18  
 309:12  
**apart** 110:17 274:8,21  
**apologize** 167:14  
**app** 115:8,13  
**apparent** 42:6 227:3  
**appeal** 232:6  
**appear** 139:13  
**applause** 15:5 61:15  
 71:2 85:11 106:14  
 135:19 176:16 181:21  
 199:4 202:21 208:11  
 218:5 287:8  
**applicable** 42:14  
**application** 31:21 200:2  
 202:12 211:2 237:18  
 246:4  
**applications** 32:11  
 37:14 41:14 42:4  
 229:12 230:20 238:1  
 309:7  
**applied** 88:12 139:4  
 211:10  
**apply** 14:13 146:21  
 212:11 306:17  
**apportioned** 116:16  
**appreciate** 11:14 15:14  
 17:15 21:15 36:17  
 38:9 50:4 109:18  
 121:5 148:2 164:4,11  
 164:20 165:5 167:10  
 218:4 221:19 275:22  
 292:4 307:21 308:3  
**appreciated** 21:20 98:7  
 221:10 275:21  
**appreciating** 306:6  
 318:13  
**appreciation** 6:20  
 268:6 315:18  
**appreciative** 49:20  
 306:1  
**approach** 6:4 14:1  
 29:13 44:12 201:7  
 205:1 262:5 297:15  
**approaches** 20:17  
 183:1,3 317:9  
**appropriate** 31:7  
 175:10 232:20 262:2  
 262:15  
**approved** 58:16 60:10  
 205:8  
**approximate** 183:17  
**approximately** 294:17  
**apps** 115:3 152:12  
 153:3  
**April** 215:16  
**arbitrarily** 186:17  
**Arctic-** 53:4  
**area** 10:15 16:7 55:3  
 58:15 62:3 63:6,15,16  
 63:18 68:5 69:5 80:11  
 80:11,13 84:4 103:13  
 104:13 105:13 109:17  
 109:20 120:3 123:8  
 139:6,14 140:1  
 148:10 153:4 160:2  
 180:5 181:14 183:4  
 184:1,3,19 185:15  
 186:20 187:9 197:14  
 197:14 199:2 214:11  
 215:12,17 231:18  
 232:19 233:4 237:18  
 241:14 248:16 249:13  
 275:4 291:11 304:15  
 304:18 310:11  
**area's** 119:18  
**areas** 9:17 31:3 35:10  
 49:8 51:2 58:13,20  
 59:17,17 63:19 67:14  
 67:19 69:1,6,16 80:18  
 82:16 93:16,22 97:15  
 98:10 101:15 104:3  
 110:6 115:15 120:1  
 123:5 132:17,19,21  
 148:8 151:22 153:12  
 163:2 178:18 182:17  
 183:19 192:21 202:5  
 206:5 215:2 229:13  
 237:6,8 248:14  
 254:15 261:9,9  
 280:18 281:16,18  
 304:7,20 308:10  
 309:21 313:22  
**arena** 16:18  
**arenas** 20:15  
**Arkansas** 173:18  
**Arleigh** 103:7  
**arm** 210:5  
**Armstrong** 2:2 21:16  
 21:16 110:19 112:8  
 261:16 281:5,13  
 284:14 287:6  
**army** 51:6 100:9,11  
 118:9,17 174:22  
 235:6 243:16 251:14  
 251:20 255:10 256:9  
 299:12  
**array** 67:21  
**article** 26:18 148:15  
**articulated** 271:16  
**articulating** 44:13  
**artificial** 246:4  
**Ashley** 2:14 4:15 48:5  
 86:12 106:15,20  
 123:19 135:15,18  
 184:16 203:1,4  
 235:20  
**ashore** 16:5  
**asked** 23:16 41:10  
 60:20,22 88:6 157:2  
 164:8 225:4 230:1  
 232:18 242:14 259:12  
 283:14 311:6  
**asking** 47:15 162:11

164:4 205:2 244:15  
259:13 283:2  
**asks** 135:6  
**aspect** 34:2 57:21  
146:17 200:7 278:22  
**aspects** 72:6 289:2  
**aspirational** 47:6  
**assertion** 96:13  
**assessment** 45:16  
204:10 205:10  
**assessments** 123:6  
**asset** 57:1  
**assets** 57:7 216:18,19  
296:21 297:4  
**assimilation** 43:18  
**assist** 177:20  
**assistance** 242:4  
**Assistant** 2:9  
**associated** 12:18 117:3  
**Association** 308:15  
**associations** 158:5  
297:7,10  
**assume** 257:10 271:3  
313:15  
**assumed** 138:6,7  
160:22  
**assuming** 131:1 210:1  
**assured** 80:14  
**astounds** 299:6  
**astray** 136:20  
**ASV** 15:9 193:15  
**ASVs** 31:22 193:10  
**Athis** 75:20  
**ATKINSON** 1:15 10:7  
10:11 238:6,8,11,21  
241:10,22 264:16  
297:21 298:10  
**Atlantic** 26:2 185:14  
186:9  
**Atmosphere** 2:10,10  
**atmospheric** 1:3 47:10  
**AtoN** 130:3,4,10,15,16  
**atonus** 130:14  
**attempt** 314:10  
**attend** 42:22 168:2  
191:2  
**attendance** 267:2  
268:14  
**attended** 24:22 25:2  
35:16 39:3 174:21  
253:22  
**attending** 14:8 40:17  
**attends** 240:16  
**attention** 18:4,10 32:22  
89:17 167:13 222:18  
279:1  
**attitude** 301:21  
**attorney** 86:19

**audacity** 87:13  
**audience** 126:5 129:22  
161:21 166:7 169:14  
**audience's** 156:22  
**audiences** 166:8  
**AUGUST** 1:9  
**Australian** 142:21  
**authoritative** 120:14  
**authorities** 120:15  
152:7  
**authority** 27:17 87:20  
101:14 102:3 178:16  
**Authorization** 102:16  
**authorized** 141:2  
199:18  
**automatically** 83:12  
**automation** 193:1  
**autonomous** 191:21  
192:11,15 216:22  
217:3,10,11 219:3  
220:1,14 222:15  
223:12 229:7 248:22  
**AUVs** 230:6  
**availability** 43:17 65:20  
**available** 42:13,13  
65:17 76:5,5 92:17  
115:6 118:21 124:3  
152:11 153:1 174:3  
232:4 296:17 299:9  
**avalanche** 191:8,10,11  
191:11  
**avenue** 1:12 223:1  
**avenues** 172:17 205:14  
**average** 171:2 173:2  
260:17  
**aviation** 49:8  
**avoid** 70:11 117:12  
**avoidance** 80:9  
**avoided** 58:14  
**aware** 13:20 43:1 180:6  
252:7 261:5 273:12  
**awareness** 34:21 42:16  
60:3 73:12 117:1,2,7  
117:9 122:17 263:17  
**aye** 319:4

---

## B

---

**B** 317:15  
**back** 8:16 27:15 31:10  
40:19 45:19 57:18  
71:6,6,17 77:16 84:11  
84:12 85:14 86:20  
87:6 95:21 96:11  
105:18 111:9 112:6  
120:3,8 121:18 122:1  
126:8 130:2 146:22  
151:16 161:6 179:20  
180:14 184:18 187:16

190:15 192:12 204:12  
212:7,10 215:16  
226:5 229:16 232:7  
234:14 235:5 240:1  
244:4 247:5 249:9  
254:8 255:8,17  
270:19 276:12 289:11  
300:3 302:3 303:7  
305:6 308:11 316:22  
**backbone** 81:16  
**backbones** 171:20  
**background** 208:8  
**backlog** 28:6  
**backscatter** 42:10  
**backward-looking**  
247:3,19  
**backyard** 61:19,20  
**bad** 117:12 191:11  
208:1 212:5 298:21  
**ball** 20:13,14 44:18  
218:13 313:19  
**balls** 87:8,15  
**Baltimore** 20:2  
**bands** 200:20  
**bandwidth** 130:12  
131:4,17 137:16  
**bang** 173:22  
**bank-** 190:12  
**bar** 72:1 150:17  
**Barbor** 167:15  
**barge** 92:11,14 278:13  
278:15,16,21 279:22  
281:8,20  
**barges** 88:1  
**barn** 119:13  
**barriers** 84:14  
**Barrow** 85:14  
**bars** 104:20  
**Bart** 315:22  
**base** 209:9  
**baseball** 112:13 114:13  
**based** 35:15 40:22 86:8  
86:9 179:12 194:10  
196:21 202:12  
**baseline** 229:13 239:9  
239:10  
**basement** 115:12  
**basic** 98:1 113:18  
249:21 258:21  
**basically** 43:5 101:5  
130:4 141:11 182:19  
183:13 184:20 204:18  
279:16  
**basics** 111:22  
**basis** 82:13 178:22  
297:1 299:5  
**bathymetric** 14:15 15:3  
204:20 279:19 293:22

294:2,4,5,7,13  
**bathymetry** 30:20  
123:18 125:20 229:8  
245:12  
**Baton** 190:14  
**battling** 305:5  
**Bay** 34:9 83:8,18  
178:11 179:5,5  
236:18  
**beach** 78:2 94:11  
131:20 132:5 137:11  
138:10,20 139:5  
140:4,10 189:16  
252:14 253:6  
**bear** 94:13  
**beat** 17:20 241:19  
**beat-up** 87:11  
**Beaufort** 95:22  
**becoming** 64:20 91:7  
**bed** 25:20 195:4  
**beer** 17:8 49:22 107:3  
135:22 161:19  
**beers** 18:18 21:1 318:3  
**begun** 201:6  
**behavior** 302:17  
**believe** 63:5,10 98:21  
124:15 135:15 161:2  
169:3 193:16 201:12  
231:11 253:19  
**Bell** 55:11  
**Beluga** 66:21  
**Benchmarks** 175:6  
**bend** 213:9  
**beneficial** 42:8 199:2  
224:8  
**benefit** 16:16 38:11  
101:11 112:10 176:1  
207:11 217:14 236:13  
237:9 238:17 260:19  
296:14 305:18 309:22  
**benefits** 101:7 173:20  
190:3 202:19 203:2,6  
203:15 206:21 235:18  
235:22 236:3,18  
237:2,14 272:17  
**benefitting** 212:11  
**Bering** 58:21 91:10,11  
91:14 122:22 278:18  
**best** 6:8 12:6 21:11  
44:5,13,18 79:18,19  
80:1 81:22 99:9  
120:16 127:1 141:22  
175:5 191:20 193:10  
193:10 207:7 235:13  
300:8  
**bet** 103:19 172:19  
238:18  
**better** 11:8 12:13 71:5

118:6 126:14 141:16  
 145:9 146:7 151:13  
 158:22 171:15 176:3  
 195:9 245:2 254:16  
 261:13 262:12 264:5  
 278:8 293:4,9 310:10  
 310:11 315:6 317:17  
**beyond** 211:12 293:11  
**Bezos** 100:12  
**biannual** 240:12  
**big** 7:7,9 8:2 13:10 18:9  
 29:11 44:3,3 46:22  
 70:20 76:7 82:5 87:14  
 95:12 96:7 100:10  
 103:6 149:5 172:6  
 186:11 198:17 225:11  
 245:17 255:10 278:14  
 278:14 285:17 286:7  
 295:13 301:7  
**bigger** 95:13 197:7  
**biggest** 6:19 17:7 96:9  
**Bill** 251:16 255:11  
 268:20  
**billion-dollar** 238:15  
**billions** 238:17  
**bimonthly** 219:9  
**bin** 289:4  
**binning** 309:2  
**biological** 139:14  
**bit** 5:15 24:20 37:8  
 43:10 60:19 63:22  
 71:7 77:19 86:20,21  
 88:20 89:22 90:6,7  
 91:9,10 92:21 98:2  
 104:20,21 113:18  
 118:13 131:3 143:10  
 152:5 158:22 160:8  
 166:18 168:19 171:15  
 174:5 175:21 176:11  
 179:12 184:7 193:20  
 198:13 210:21 220:10  
 226:14 228:13 235:8  
 257:4,19 258:6  
 261:21 268:18 269:14  
 270:7 276:1,3 292:1  
 303:16 314:21 318:11  
**bits** 7:15  
**black** 227:17  
**Blackwell** 2:3 36:1,1  
 262:10 283:22 284:20  
 310:3  
**blame** 145:13  
**bleed** 136:20  
**blessing** 101:22  
**blew** 71:13  
**BLM** 174:22  
**blocker** 283:7  
**blood** 92:19

**blue** 7:15 22:14 52:5  
 72:9 108:3 109:3  
 158:19 242:12,17  
 243:1 303:16  
**blueprint** 173:10  
**blurry** 37:9 186:11  
**board** 3:13 25:9 27:17  
 39:14 61:12 71:21  
 73:8 124:7 137:14  
 155:14,15,15 160:10  
 163:22 180:15 182:12  
 245:20  
**boarding** 113:15  
**boat** 52:3 104:22  
 113:14 145:19 149:6  
 291:9  
**boaters** 258:14  
**boats** 52:4 53:5 193:14  
 197:15  
**bodes** 24:16  
**body** 84:3  
**boil** 305:15,16  
**BOLEDOVICH** 2:12  
 21:6 120:11  
**bolts** 188:22  
**book** 149:9  
**bookended** 272:3  
**books** 149:8  
**boom** 123:11  
**border** 68:8  
**born** 119:20  
**borrow** 105:20  
**boss** 105:20  
**Boston** 87:11  
**bottom** 207:7  
**bottom-mounted**  
 125:12  
**bounce** 14:2  
**boundary** 26:15 58:15  
 96:2 186:16  
**bounds** 269:18,19  
**box** 227:17 279:16  
**boy** 278:2  
**bracing** 172:11  
**brainchild** 224:21  
**brains** 12:8  
**breadth** 136:18  
**break** 81:6 121:19  
 155:8,10 169:13  
 186:12 218:11 276:2  
 281:20 295:10,12  
**breakfast** 157:20  
**breaks** 104:2  
**breakthrough** 75:2  
**breathes** 242:22  
**breeze** 285:7  
**Brennan** 2:13 4:12  
 156:12,18 182:1,3

188:9,13,20 190:11  
 210:22  
**Briana** 39:21  
**bridge** 60:5 128:15  
 244:21  
**Bridge-to-Bridge**  
 140:12  
**bridging** 272:5  
**bridle** 113:18  
**brief** 38:14 55:10  
 108:18 109:7 182:9  
 203:9 289:13  
**briefed** 184:13,16 203:7  
 268:21  
**briefing** 109:1 188:20  
**briefings** 94:7 221:10  
 221:21 269:5  
**briefly** 182:16 304:11  
**Brigham** 168:1  
**bright** 198:11  
**bring** 66:4,9 67:9 73:12  
 91:18 99:14 102:12  
 127:18 253:9 273:1  
 297:18  
**bringing** 22:14 31:15  
 37:18 92:1 184:15  
 276:17 278:17 292:5  
**brings** 62:9 98:18  
 102:14  
**broad** 50:21 59:12  
 206:9 239:19  
**broadcast** 11:7 130:21  
 146:9  
**broadcasting** 30:14,17  
 114:9 130:11  
**broadcasts** 130:5  
 140:15  
**broaden** 54:1 252:10  
**broader** 101:17 253:2  
 275:6 306:18  
**broadly** 229:1  
**brought** 120:6 167:13  
 251:14 257:18 287:15  
 296:15 302:16 312:10  
**brushes** 50:21  
**Bs** 131:22  
**BTS** 140:12  
**bubbling** 250:13  
**buck** 174:1  
**buddy** 50:5 54:4  
**budget** 107:22 309:4  
**budgeting** 127:13  
**budgets** 236:5  
**buffer** 69:6  
**build** 45:11 57:14,16  
 100:10 145:7 153:2  
 154:13,18 296:22  
 297:1

**building** 57:10 71:10  
 92:14 196:10 313:7  
 314:16  
**built** 65:8 113:4,12  
 196:18  
**bullet** 39:16 103:1  
 290:13 291:8  
**bullets** 284:1  
**buoy** 83:2 128:17,19,20  
 180:17  
**buoy's** 150:18  
**buoys** 49:16 83:1,3  
 100:1 125:13 128:21  
 252:16,17  
**bureaucracy** 127:14  
 302:7  
**bureaucratic** 299:10  
 301:5  
**Buried** 251:19  
**Burke-class** 103:7  
**burner** 232:7  
**burrito** 314:22  
**business** 71:10 102:4  
 104:20  
**busting** 265:6  
**busy** 181:8  
**button** 227:13  
**butts** 265:6  
**buy** 92:12  
**buying** 114:17  
**bypassing** 259:18  
**Byron** 271:15  
**byzantine** 127:5

---

**C**


---

**C** 317:16  
**C-130** 49:6  
**C-Worker** 193:15 194:3  
 195:6  
**cable** 81:7,15  
**cables** 81:5  
**cage** 94:13  
**Cajuns** 110:5  
**cake** 191:14,15  
**calendar** 181:6 242:13  
**caliber** 317:8  
**California** 33:1 189:21  
 196:8  
**call** 48:3 74:6 83:18  
 111:14 141:5 155:18  
 172:21 173:3 192:3  
 240:7,15,16,21 255:3  
 282:13  
**call-ins** 240:14  
**called** 26:21 63:11  
 67:15 85:15 86:9  
 130:4 140:22 141:6  
 158:6 159:3 177:8

251:17 286:11  
**calling** 180:17 186:13  
**campaigns** 175:6  
**Canadian** 68:8  
**candid** 162:5 163:5  
**Cap** 4:12  
**capabilities** 20:10 60:1  
 81:3 112:2 113:7  
 114:8 118:10  
**capability** 8:22 73:1  
 87:21 112:22 113:6  
 113:12,13,14,17  
 118:13 129:8  
**capable** 53:5  
**capacities** 134:17  
 174:10  
**capacity** 69:8 93:17  
 104:9 123:22 131:18  
 132:1,13 133:1  
**Cape** 63:6  
**Capt** 2:2,17 4:12 21:16  
 110:19 112:8 182:3  
 188:9,13,18 190:11  
 190:12 210:4,22  
 261:16 281:5,13  
 284:14 287:6  
**captain** 1:19,19 2:13  
 83:14 108:19 141:5  
 156:12,18 179:9  
 182:1 188:16,20  
 231:8  
**capture** 16:12 178:13  
**captured** 46:13 287:5  
**capturing** 278:6  
**car** 60:6 92:12  
**care** 62:13 68:11 171:4  
 262:21  
**career** 51:5  
**cargo** 199:15  
**caribou** 63:12  
**CarMax** 92:12,13  
**Carol** 1:18 212:7,7  
 224:5 302:4 315:1  
**Carolina** 258:3,7  
 264:20  
**carpet** 318:14  
**carriage** 199:20  
**carrying** 137:19,21  
**cars** 154:22  
**case** 23:6 24:8 119:14  
 151:5 156:4 186:18  
 204:9 277:15 288:18  
**cases** 138:5,13 151:4  
 169:18  
**casualties** 72:12  
**catastrophic** 77:5  
**catch** 158:21  
**catcher-processors**

91:21  
**catching** 114:22  
**categories** 68:1  
**category** 68:2  
**cats** 112:15 226:1  
**caught** 91:14  
**ceases** 298:18  
**cells** 200:10,18,22  
 201:11,22  
**center** 2:3,4,6,14,19  
 22:9,11 58:15 115:12  
 122:17 124:1 158:12  
 235:4  
**central** 11:2  
**cents** 277:21  
**cerebral** 57:20  
**certain** 96:10 102:5  
 147:11  
**certainly** 18:9 19:13  
 33:22 54:1 55:5 56:18  
 60:15 61:12 108:10  
 138:11 146:8 183:9  
 198:22 214:7,18  
 242:17 269:20 270:11  
 275:1 282:9 292:4  
 300:22 308:3  
**cetera** 36:16 43:21  
 54:15 61:7 183:1  
 229:14  
**chain** 120:19 266:22  
**chaired** 294:10  
**Chairman** 62:8 63:20  
**Chairwoman** 86:13  
**challenge** 28:13 61:1,2  
 112:14 132:14 140:7  
 146:18 149:12 246:8  
 246:22 305:4  
**challenged** 263:21  
**challenges** 4:5 6:12 7:7  
 13:17 15:10 19:14  
 48:16 54:12 89:6,22  
 90:13 94:9,14 103:3  
 106:9 109:18,21  
 110:18 121:9 132:8  
 136:18 151:1 212:14  
 260:2 271:21 279:14  
 293:5  
**challenging** 89:2 90:15  
 104:5 118:5 125:10  
 292:13 310:11  
**championing** 98:17  
**champions** 99:2 107:17  
**chance** 39:4 155:4  
 159:12  
**chances** 317:14  
**change** 64:6,11 76:17  
 108:9 129:5 170:16  
 172:6 176:4 186:10

246:20 257:22 259:22  
 261:2,7 302:10  
**changed** 56:8 93:15  
 134:12 213:7,8  
 219:13,15 247:12,17  
**changeover** 116:3  
**changes** 64:8,11,13,15  
 65:15 80:22 91:8  
 144:11 172:5 173:15  
 175:15,16 176:14  
 202:8 265:5 319:2  
**changing** 10:15 13:18  
 64:5 65:13 100:6  
 110:9 139:16 225:15  
 228:5 230:19,20  
 233:20 259:5  
**channel** 127:6 140:11  
 140:12,12,13 141:6  
 147:10 252:11  
**channeled** 13:6  
**channels** 69:6 178:14  
 298:5  
**Chappell** 2:14 4:15 48:5  
 109:13 114:5 119:15  
 120:10 121:6 123:19  
 203:1,5,12  
**characteristics** 43:19  
**characterization** 26:7  
 26:12 46:19 93:13  
**Charleston** 306:11  
**chart** 39:19 117:14  
 148:22 149:5,6 153:5  
 153:6,18 183:5,5,7,10  
 183:20,22 199:9,22  
 200:3,5 201:15,20  
 202:11,12 211:3  
**charted** 183:4  
**charter** 25:4 169:1  
 318:22  
**charting** 15:9 26:1 32:2  
 46:17 98:6 122:19  
 134:8 177:1 183:10  
 192:19 201:18,21  
 215:2 245:14 252:11  
 253:3 313:6  
**charts** 60:4,10 93:1  
 145:22 148:17,21  
 149:3 183:16 192:20  
 199:10,11,13,21  
 200:12 201:17 202:1  
 251:18 313:8  
**cheap** 304:5 306:9  
**cheaper** 12:13  
**check** 209:12  
**cheek** 264:18  
**cheep** 264:17,18  
**Chief** 115:19 174:12  
 192:2,4

**Chief's** 101:21  
**Chinese** 54:20 95:10  
**chip** 218:10  
**choice** 64:14  
**choose** 237:19  
**Chorus** 319:4  
**Chukchi** 93:9 94:3  
 95:22 194:12 201:6  
**chunk** 185:14  
**Circle** 75:7  
**circulate** 276:14  
**circulated** 309:11  
**circulation** 179:4  
**circumstance** 146:2  
**citizens** 56:6  
**City** 315:2  
**civilians** 56:6  
**clarification** 220:8  
**clarify** 131:16 183:13  
 221:5 228:17 262:17  
**Clarion-Clipperton**  
 26:22  
**class** 56:5  
**cleanup** 77:10  
**clear** 136:22 184:12,18  
 185:2,10 187:10  
 193:8 210:22 261:18  
 272:16 273:17 285:3  
**clearer** 162:15,22  
**clearly** 38:7 136:15  
 162:22  
**climate** 64:10 160:15  
 306:1  
**Clipperton** 312:6,20  
**clock** 170:3  
**close** 21:1,3,4 54:5  
 119:13 178:1 231:20  
 272:11  
**closely** 252:20  
**closer** 25:6 118:4,5  
 171:18 198:1,2  
**cloud** 196:11  
**cloud-sourcing** 99:5  
**club** 51:22  
**clue** 249:16  
**clutter** 132:6  
**Co-** 2:2 162:3  
**co-chair** 14:21 25:3  
 79:20 294:16,19  
 295:3,19  
**co-chaired** 293:20  
 294:8,9,11  
**co-chairs** 14:20 15:1  
**Co-Director** 2:6  
**Co-Management** 66:18  
**CO-OPs** 131:12 157:1  
 158:7 159:10 160:3  
 176:19 249:20 266:9

272:3 280:12 286:9  
**CO-OPS's** 158:14  
**coach** 87:2  
**coalition** 13:11 66:16  
 66:17 184:21,22,22  
 185:1  
**coast** 2:11,13,14,15,17  
 2:22 3:12 18:19,21,22  
 19:6 21:9 34:4 39:22  
 40:5 49:5,13,14 50:13  
 51:11 52:6 53:21 55:3  
 55:16 57:21 61:11  
 66:15 67:4 68:8,14  
 69:1,9,22 80:3 81:10  
 87:12,13,18 95:15  
 97:20 102:15,18  
 104:15 108:7,12,19  
 109:4 111:17 112:9  
 114:7,17 115:16  
 116:12,16 118:8,11  
 118:16,18,19 119:2  
 122:21 126:18 129:16  
 132:7 134:19 139:17  
 139:21 140:5 146:15  
 148:6,7 149:13 151:9  
 156:12 189:21 192:3  
 192:5,13 194:15  
 199:18 215:1 246:1  
 255:2 282:2,7,10,11  
 283:6,14 285:16,20  
 286:5 293:6 307:21  
 308:16 309:21 310:1  
 310:14 313:10  
**coastal** 35:10 37:20  
 43:8 47:12 63:18 67:3  
 67:14 87:22 94:6,10  
 109:17 125:7 135:7  
 160:12,14 175:21  
 204:3,13,17,19  
 237:21 252:17 272:15  
**coastline** 13:17 46:5  
**cod** 91:14  
**Code** 81:20,21 103:11  
**coding** 128:4  
**coerced** 48:10  
**coined** 46:13 196:13  
**Colby** 2:15 4:14 199:6  
 202:22  
**collaborate** 59:12 62:12  
**collaboration** 35:22  
 39:13 271:20 273:20  
 282:9 308:8  
**collaborations** 175:13  
 184:21  
**collaborative** 97:6  
 184:4  
**colleagues** 35:5 142:10  
**collect** 42:10 55:21

112:11 177:12 179:17  
 214:1 215:10 298:21  
 309:5  
**collected** 33:13 178:1  
 179:21,22 180:2  
 181:4  
**collecting** 192:20 207:4  
 213:20 215:3 309:1  
**collection** 23:12 196:1  
 205:15  
**collections** 211:22  
**college** 87:3,7  
**colorful** 71:16  
**Columbia** 34:9 236:21  
**column** 180:19 251:7  
**combination** 150:20  
**combine** 288:2 307:17  
**combining** 123:4  
**come** 20:13 30:20  
 40:19 48:10 51:17  
 62:12,14 63:19 78:4,4  
 81:7 82:16 96:4 97:2  
 103:15 115:13 149:1  
 154:17 176:15 181:18  
 187:13 201:9 211:5  
 215:16 228:7 235:15  
 236:3 254:7 256:10  
 262:12 263:4 275:2  
 276:12,14 282:3  
 286:6 298:19 301:15  
 305:14,21 317:3  
**comes** 52:6 95:21  
 116:17 144:3 194:14  
 213:2 256:9 259:17  
 285:13  
**comfortable** 74:5  
 149:17  
**coming** 7:4 33:20 51:4  
 58:17 75:12 76:10,13  
 84:6 85:9,21 86:3,15  
 93:2 100:16 101:6  
 113:22 115:20 120:5  
 121:13 124:13 125:18  
 138:12 147:12 148:11  
 172:5 173:15 175:16  
 191:7 244:20 263:18  
 298:8  
**command** 11:2 56:3  
 108:9  
**Commandant** 50:17  
 94:20 108:8 116:3  
 129:14  
**Commandant's** 53:18  
**Commander** 70:20  
 108:21  
**commend** 153:19  
**comment** 4:7 10:8 12:4  
 16:9 38:1 60:19 107:1

122:5,10 124:18  
 126:2,7,8 129:21  
 133:8 135:4 144:1,13  
 151:19,21 155:1  
 159:4,16 166:6  
 171:16 182:14 230:21  
 260:8 292:6 311:11  
 316:22  
**commentators** 99:7  
**commented** 55:12  
 158:10 257:13  
**comments** 4:19 5:14  
 10:21 17:16 38:13  
 47:21 107:12 109:19  
 122:3,7 126:5 135:10  
 147:1 157:7,10,13  
 158:7 161:4,8,11  
 163:11,21 164:8  
 165:5,10,15,18,20  
 166:5 167:10 169:9  
 180:3 182:13 265:1  
 276:13  
**commerce** 1:1 2:9,10  
 51:13 72:7 96:22  
 177:15  
**commercial** 81:11 91:6  
 91:12,13 199:19  
**Commission** 63:21  
 66:19,20,20 68:22  
**commissioned** 182:4  
**commissioner** 72:7  
 231:8  
**commitment** 73:6  
 112:9 189:17  
**committed** 109:11  
 212:3  
**committee** 3:16 14:9  
 24:22 33:11 36:3 62:9  
 63:22 66:21,22 67:13  
 67:20 68:6,15 79:16  
 79:21 96:22 164:15  
 191:2 245:3 253:5  
 266:3 271:13 272:5  
 289:18 306:2  
**committees** 67:16  
 124:10  
**common** 42:18 55:20  
 97:16 168:11 215:18  
 269:15 272:21 274:22  
 275:15  
**commonsense** 14:1  
**communicate** 70:1  
 261:13 288:8  
**communicated** 203:13  
**communicating** 153:22  
 248:12  
**communication** 61:6  
 67:2 73:16 128:4

**communications** 69:14  
 103:5 104:12 158:12  
 261:21 263:9  
**communities** 31:9  
 55:17 57:3 58:7 64:21  
 66:4 67:3 69:7 70:2,4  
 70:9,14,18 85:19 89:9  
 90:10 92:5,18 105:15  
 106:5,7 137:8 139:11  
 240:1 259:4  
**community** 8:14 9:10  
 49:8,9,10 71:11  
 103:21 105:7,11  
 106:11 111:6 156:10  
 183:7,9,10 258:8  
 290:21  
**companies** 297:6  
**company** 86:8 95:21  
**compared** 47:9 86:17  
**compete** 87:6 114:15  
**competency** 182:20  
**competing** 100:22  
**competition** 107:8,9  
**competitive** 17:17  
**compilation** 200:18  
**compiled** 200:2,10  
**compliant** 313:13  
**complain** 84:7 303:6  
**complained** 5:17  
**complaining** 290:9  
**complementary** 35:11  
**complete** 69:12 202:18  
 211:1  
**completed** 98:10  
 178:10 187:9 211:10  
 237:4  
**completely** 21:17 79:12  
 109:16 134:14 151:4  
 295:7  
**completing** 68:13  
**completion** 184:15  
**complex** 101:5 147:9  
 190:7,22 265:11  
**compliance** 79:9  
 198:13,17,20  
**comply** 198:19  
**composed** 67:21  
**comprehensive** 212:8  
 224:6  
**comprised** 66:17  
**comprises** 200:9  
**computational** 43:18  
**computer** 60:7 145:21  
**computers** 146:12  
**concentrate** 83:9  
**concentrated** 217:17  
**concept** 76:2 125:19  
 308:21

- concepts** 74:2  
**concern** 25:21 99:8  
 132:20,21 138:9  
 139:1 264:14  
**concerned** 65:19 131:4  
 287:21  
**concerns** 37:19 54:19  
 174:14 198:4  
**concurrence** 161:10  
 165:2,9  
**condense** 292:19  
**condition** 100:2  
**conditions** 43:8 46:5  
 54:13 77:9 150:13  
**conduct** 178:16 190:21  
**conducted** 58:2 190:16  
**conducting** 66:7  
 189:20 190:18  
**cones** 131:9  
**conference** 1:11 119:10  
 130:3 174:20,22  
**conferences** 173:12  
**confidence** 99:6 149:18  
 149:19 150:4,13,14  
**confident** 57:14 149:16  
 202:18  
**confirmation** 157:6  
**confirming** 207:21  
**conflating** 281:6  
**conflict** 80:9  
**conflicting** 121:1  
**conflicts** 66:9  
**confused** 222:6  
**confusing** 159:3  
**confusion** 277:1  
**congestion** 140:21  
**Congress** 53:2 61:8  
 101:13 102:1,3,11  
 111:14 129:15 235:16  
 317:11,18  
**congressional** 96:21  
 97:16 107:14 236:5  
 316:7  
**Congressman** 57:11  
 97:18  
**conjunction** 36:5 42:17  
**connected** 92:6 249:18  
**connectedness** 74:14  
**connecting** 75:6  
**connection** 22:17  
 110:13,16  
**connections** 145:8  
 171:17  
**connectivity** 128:2  
 272:6  
**consciousness** 73:18  
**consensus** 67:18  
**consequences** 96:17
- conservation** 26:8  
**consider** 111:10 259:17  
 312:14  
**consideration** 101:19  
 231:17  
**considered** 77:9,12,13  
 259:8  
**considering** 189:1  
**considers** 199:22  
**consistent** 243:19  
**Constituent** 2:12  
**constituents** 21:12  
 23:6  
**constrained** 28:7 152:5  
 152:8,13 154:20  
**constrains** 27:21  
**constraints** 28:15  
**construction** 97:9  
 110:21  
**consultation** 102:18  
**consulted** 111:5  
**consume** 107:2  
**contact** 69:4 283:5,7  
**contacted** 191:5  
**contacts** 310:19  
**container** 75:1,5 140:19  
**containers** 76:15  
 137:22 138:22  
**CONTENTS** 4:1  
**context** 37:15 95:20  
 277:15 287:4  
**continually** 176:12  
**continue** 6:11 11:21  
 29:1 36:19 44:11  
 53:19 55:8,17 57:1,12  
 70:10 96:1 107:16  
 137:9 191:4 193:22  
 221:18 222:2 244:9  
 252:18 279:12 301:3  
 304:9 306:3,20  
**continued** 34:10 171:19  
**continues** 61:12  
**continuing** 59:4 199:1  
 221:8 241:15 282:4  
**continuity** 229:15  
**continuous** 125:1,6  
**continuously** 221:9  
**contouring** 202:9  
**contours** 202:6  
**contract** 28:19 115:10  
 189:14 190:1,8  
**contractor** 134:17  
 204:1  
**contractors** 188:12  
**contribute** 16:1 27:9  
 60:14 137:4 222:19  
**contributed** 23:7,8,11  
 301:18 311:17,19
- 315:20 316:10  
**contributes** 318:8  
**contribution** 274:15  
**contributions** 25:15  
**control** 252:12,19  
**controls** 106:20  
**conversation** 20:22  
 110:14 129:13 155:6  
 191:6 192:6 195:11  
 244:10 269:10  
**conversion** 202:2  
**converted** 200:21  
**Cook** 81:11 178:2,6,16  
 178:19,22 212:9  
**cool** 12:2 13:1 197:16  
 197:16 297:12  
**cooperate** 275:10  
**cooperation** 97:7 254:2  
 254:22 271:20  
**cooperative** 29:15 36:8  
 194:22  
**COOPS** 171:19 177:1  
 177:21 178:4,9,10  
 180:15  
**coordinate** 170:19  
 174:15 175:12 209:8  
 210:13 259:6  
**coordinated** 160:6  
**coordinating** 37:8  
**coordination** 35:14  
 59:21 171:18 251:14  
 252:22 254:2 271:22  
**coordinator** 2:21  
 174:12 189:11  
**copy** 161:6  
**copying** 16:11  
**core** 91:4 182:20,21  
 280:21  
**corner** 74:9  
**Corps** 2:2 51:7 100:9  
 100:11 101:13,20,22  
 102:3,4,9,18 174:22  
 231:2,21 235:6  
 243:17 251:14,20  
 252:10,14,15,15  
 253:7,10 254:18  
 255:1,10 256:9 257:5  
 299:13  
**correct** 147:3 212:16  
 221:4 278:2 296:4  
**corrections** 157:19,21  
**corresponding** 200:5  
**CORS** 172:1 280:10  
 281:2 284:3,4,14  
 285:4 304:1  
**cost** 23:7,11 101:9,11  
 113:22 207:11 314:2  
**costs** 77:5 97:10
- Council** 53:21 79:16  
**counsel** 222:10 319:2  
**counting** 207:1  
**countries** 53:22 89:16  
 95:11  
**country** 9:17 20:1  
 100:10,21  
**counts** 185:18  
**county** 259:7,8,11,20  
**couple** 18:18 20:2,22  
 30:1 40:15 51:2 52:18  
 56:2 81:9 89:12  
 108:15 115:11 118:11  
 122:11 124:19 126:3  
 146:4 149:10 150:18  
 159:14 194:20 213:12  
 214:20 219:8 224:5  
 224:13 227:2 244:17  
 257:17 264:10,12  
 276:8 281:9 287:22  
 315:21 318:2  
**couple-hour** 270:12  
**course** 12:6 16:22 19:2  
 22:9 41:15 60:21  
 73:22 128:21 136:4  
 136:19 138:11 139:9  
 142:12 161:16 211:21  
 222:6 254:11 315:1  
**court** 218:14  
**coverage** 199:7 200:3,6  
 200:21 201:15,16,20  
 202:5  
**covered** 188:7 208:6  
 237:1 298:15 301:9  
 310:6 314:1  
**covering** 16:20  
**cow** 77:20  
**CRADA** 19:1  
**cranes** 57:3 112:1  
**crazy** 31:11 134:20  
**create** 67:17 75:19  
 128:8 214:10 272:13  
 296:19 302:1  
**created** 35:18 178:21  
 236:16 258:1  
**creating** 201:15  
**creation** 201:22  
**creative** 9:5  
**creativity** 89:5 300:10  
 317:21  
**creatures** 65:7  
**credit** 24:4,6  
**crew** 104:4,7 140:18  
 197:19  
**criteria** 80:3 101:17  
 102:17,22  
**critical** 26:8,13 30:8  
 33:16 36:15 76:19

79:15 98:14 100:3  
 144:16 152:22 184:16  
 186:5 232:22 278:5  
 281:1 284:3 285:6  
 290:21 312:3,19,22  
**criticism** 265:2  
**cross** 269:20  
**cross-pollination**  
 245:20  
**crowd** 123:17 124:1  
**crowd-sourcing** 245:12  
**crowded** 93:15  
**crowding** 93:10  
**crustal** 26:21  
**Crystal** 104:8  
**CSDL** 191:21 192:13  
**cue** 60:3  
**cull** 147:5  
**cultural** 90:16 271:19  
**culture** 65:11 70:12  
**current** 53:17 99:1  
 120:16 130:5 146:16  
 176:19 177:7,19,19  
 177:22 178:3,12  
 179:7 180:15 181:12  
 200:9 212:9,20 213:9  
 213:13,14,15 214:1  
 215:3,10 216:14  
 304:13 306:1  
**currently** 74:17 78:16  
 114:17 190:7 195:13  
 211:7  
**currents** 43:20 176:20  
 177:2,9,10,11,13  
 208:16,18,19 217:7  
**curve** 94:2  
**custom** 202:12  
**customer** 202:14  
**customers** 27:19  
**customization** 147:14  
**customized** 202:11  
**Customs** 255:2  
**cutter** 103:8 112:16  
**cycle** 299:15

---

**D**


---

**d** 65:22  
**D-17's** 117:21  
**D.C** 86:18 88:11 235:2  
 241:14,21 270:11  
 285:18  
**daddy** 52:10  
**daily** 271:18  
**Daniels** 17:19  
**darts** 288:9  
**dashboard** 11:17  
**Dasler** 130:1,1,15,20  
**data's** 152:10

**data-driven** 160:9  
**database** 33:13 115:3  
 122:16 123:15 128:8  
 202:14  
**databases** 245:17  
**date** 210:20  
**dating** 192:12  
**datum** 168:11 170:15  
 253:8 257:22 259:10  
 259:16,18,21 278:4  
 279:20 303:15  
**datum-type** 281:7  
**datums** 15:15 125:16  
 125:17,22 158:1  
 171:17 217:9  
**daughter** 52:10  
**Dave** 14:5 24:21 33:10  
 203:9 222:4 234:8  
 257:15 264:11 312:8  
**Dave's** 15:12  
**David** 1:18 130:1  
**dawned** 110:4  
**day** 4:2 17:7,11 26:6  
 55:8 143:14 150:7  
 179:10 198:1 218:8  
 224:17 254:21 308:22  
 311:6,21  
**days** 17:18 75:14 77:16  
 87:3,7 89:13 103:18  
 103:19 121:15 122:11  
 124:19 126:3 173:6  
 179:13 216:5 224:13  
 241:20  
**de-oil** 94:13  
**deal** 17:2 64:1 118:22  
 133:6 147:3 185:11  
 265:9 278:14 285:17  
 286:7  
**dealing** 207:21  
**Dean** 97:18  
**dear** 239:5  
**dearly** 15:4  
**decade** 177:21 313:20  
**decide** 266:8 271:10  
 306:22 312:17  
**decided** 136:2,6  
**deciding** 225:7  
**decisions** 68:3 136:7  
 157:6 175:10 238:15  
**deck** 17:12 57:4 87:16  
**dedicated** 189:8,11,12  
**deep** 24:1 180:4 186:13  
 186:14,16,21 187:8  
 188:2 258:22  
**deeper** 185:22 186:13  
**deepwater** 60:21 61:4  
**defend** 145:14,14  
**Defense** 102:16 105:6

**define** 10:14,17 172:7  
 279:21  
**defined** 101:15 278:9  
**defines** 117:1  
**definitely** 106:12 110:1  
 111:2 163:21 262:22  
 270:22 287:1  
**definition** 279:21  
**degree** 24:3 48:10  
**delegation** 96:21 97:17  
 98:18 105:9 107:15  
**deliberate** 277:6  
**deliberately** 305:8  
**delighted** 15:1 36:2  
**deliver** 146:11 259:14  
 259:15 313:11  
**delivered** 92:11,14  
**delivering** 141:15 202:4  
 259:11 260:11  
**delivers** 20:19  
**demands** 211:17  
**demeanor** 62:6  
**demonstrate** 42:8  
 45:19  
**demonstrated** 19:15  
 219:17  
**demonstration** 34:9,11  
**Denali** 15:13 170:16  
**Denise** 124:8  
**DENTLER** 2:14  
**Department** 1:1 25:7,19  
 36:18 54:7 72:7  
 272:10  
**Departments** 175:2  
**depend** 65:11 149:15  
 231:4  
**dependent** 18:7 27:6  
 60:8 176:2  
**depending** 77:3 146:1  
 150:20 266:4  
**deploy** 57:5 177:19  
 179:6,7 180:15,16  
 181:6,19 215:14,15  
 215:19  
**deployed** 178:4,5,9,12  
 178:18 179:14 180:10  
 194:4  
**deploying** 123:11  
**deployment** 110:21  
 181:2,16 194:6  
 216:17  
**deployments** 104:15  
**deploys** 55:12  
**depth** 186:5,12 202:6,9  
 281:9  
**derived** 41:12,18 42:12  
 200:13  
**deriving** 211:11

**describe** 166:13  
**described** 200:1 201:21  
 271:19 272:11  
**describing** 105:4  
**design** 53:11 103:17  
 112:20 113:8,11  
 176:4  
**designated** 2:11 102:20  
**designed** 161:21  
**designing** 125:7  
**designs** 113:19  
**desire** 45:9  
**desk** 53:18  
**DeSoto** 178:9  
**Destroyer** 103:7  
**destroying** 71:11  
**destructive** 71:7  
**detail** 145:20 160:18  
 257:19  
**detailed** 40:16 69:11  
 178:11  
**detailing** 160:11  
**details** 29:16 151:15  
 158:17 159:21  
**detection** 78:20  
**determination** 101:3  
**determine** 150:5 207:2  
 210:11  
**determining** 211:19  
**develop** 42:20 43:13  
 44:12 68:17 194:5  
 253:16  
**developed** 68:11 72:4  
 178:17 308:20  
**developer** 189:14  
**developers** 65:1  
**developing** 64:19 112:4  
 145:5  
**development** 16:1 29:1  
 44:1,17 59:19 66:3,4  
 66:7 90:6,9 92:20  
 93:4 96:11 106:1,2  
 175:8 192:3  
**device** 128:5  
**devices** 198:7 217:14  
**Dewberry** 14:6 203:22  
**diagram** 162:16  
**dialog** 269:11  
**died** 120:8  
**diesel** 78:7 92:15,18  
**difference** 7:9  
**different** 10:14 13:15  
 23:6 24:11 27:11 37:6  
 40:15 42:9 43:19  
 48:13,14,15 51:1 57:5  
 57:7 58:19 79:12  
 88:12 109:16 111:5  
 118:15 120:19 121:11

- 136:16 140:16 146:4  
146:9,14 147:15,16  
147:17,18 149:11  
156:8,9 160:5 170:11  
171:13 173:18 183:11  
195:20 200:11 206:5  
207:3,10,22 212:21  
218:16 219:21 220:10  
221:19 222:12 223:3  
226:15 231:15 232:15  
235:19 245:16 250:8  
274:12 277:9,14  
281:11,13,18 283:1  
295:22 302:12 317:20
- differentiate** 256:19  
**differently** 146:6 162:7  
212:22 258:6  
**difficult** 16:7 69:20  
87:18 100:19 135:2  
265:4 301:6  
**dig** 202:15  
**digest** 136:9  
**digital** 80:10 81:6 84:17  
133:11 134:8 149:8  
151:22 199:11  
**digitally** 83:3  
**dignified** 58:13  
**diluted** 143:10  
**dining** 51:7  
**direct** 106:17 229:11  
**directed** 137:18  
**direction** 44:6 153:21  
220:21 262:18  
**directions** 144:17  
**directly** 106:17 124:11  
172:17 176:6 202:13  
259:18 295:15  
**director** 2:2,3,4,11,12  
3:11 14:22 51:20  
272:4,4 285:19  
308:12  
**directors** 3:13 11:16  
310:22  
**directors'** 11:14  
**disagree** 96:15  
**disassociate** 147:12  
**discharged** 87:15  
103:12  
**disciplines** 165:16  
**discrepancies** 183:6,7  
**discrepancy** 183:11  
**discriminating** 228:13  
**discuss** 19:11 136:10  
142:7 219:9 266:3  
291:4  
**discussed** 26:10 37:16  
157:5 183:21 228:9  
273:15 280:18 312:9
- discussing** 18:19  
**discussion** 4:9,17 11:3  
20:3 29:18 41:10  
43:14 51:17 91:8  
135:7,13,16 186:15  
231:1 233:13 257:15  
265:17 270:13 273:2  
274:7 275:6 277:2  
318:1  
**discussions** 25:14  
40:16 41:1,18 44:12  
58:9 124:20 144:22  
229:16 318:20  
**diseases** 120:6  
**dishwasher** 92:10  
**dislike** 149:8  
**dismissing** 144:17  
**disorienting** 73:21  
**display** 128:15 144:18  
267:7,14  
**displayed** 145:16  
200:14  
**dissect** 141:19  
**dissemination** 18:20  
20:16 189:12 283:8  
**disservice** 153:7  
**distorted** 74:5  
**distress** 118:22 140:14  
**distribute** 177:12  
**distributed** 199:11  
**distribution** 76:18  
**District** 231:19  
**disturbance** 172:13,15  
**diver** 71:12 77:18  
**diverse** 165:14  
**diversity** 165:16 231:13  
**dividing** 22:15  
**Division** 2:12  
**doable** 282:18,20  
**dock** 103:6  
**docket** 14:17  
**docking** 147:9 178:8  
**docks** 87:9  
**document** 159:5 161:20  
166:19 182:16 184:9  
263:13 277:3,7 286:9  
286:20 305:12  
**documented** 237:11  
**documenting** 80:22  
**documents** 4:19 173:10  
**DoD** 61:2  
**dog** 8:4 18:17 29:21  
92:21  
**doing** 6:21 9:22 13:13  
14:14 16:19 19:4,16  
21:19 23:20,21,22  
29:11 33:8 35:11,12  
35:12 37:17 42:15
- 44:22 53:10 72:19  
75:13 81:4 82:8 91:9  
102:4 104:15 108:21  
111:19 121:16 122:21  
123:1 125:5,12 127:4  
130:6 147:8 153:20  
154:2 172:9,11 176:9  
194:21 197:1,2 215:1  
216:14 219:15 221:1  
224:9 230:13 236:4  
237:17 239:20 244:12  
247:14 248:18 255:20  
255:21 260:6 263:17  
265:2,13,14 275:21  
292:9 293:12 296:15  
298:20 299:3,4 317:1  
317:17  
**dollar** 116:2,4  
**dollars** 32:7 238:17  
252:14,15,15,17  
253:8,9 313:12  
**domain** 116:22 117:2,4  
117:7,8,10,11 122:17  
296:4  
**domestic** 199:20  
**dominated** 33:14  
**door** 34:18 119:13  
**doubt** 110:12  
**doubtful** 183:18  
**dovetail** 204:17,19  
**dozen** 201:1  
**Dr** 1:15,18 2:6,16 4:11  
22:8 144:13 155:12  
170:7 176:18 193:14  
197:9 232:14 290:6,8  
290:11,14  
**draft** 19:2 182:11  
212:15 305:2  
**drafted** 182:5  
**dramatic** 70:8  
**drawing** 180:14  
**drew** 72:1 186:17  
**drifters** 180:10  
**drill** 159:14  
**drink** 17:9  
**drinker** 49:22  
**drive** 60:6 134:20  
**drivers** 96:18  
**drives** 97:10  
**driving** 12:19 154:22  
273:20  
**drone** 195:17 227:6  
**drones** 227:18  
**drug** 81:11  
**due** 64:10 128:10  
**Duffy** 1:16 13:10,10  
109:15 210:2 211:21  
230:21 253:11 296:9
- 315:17  
**Dutch** 71:9 91:20 93:14  
101:10  
**dynamic** 80:6 81:2  
139:15,20 178:14  
212:15  
**dynamics** 13:18 93:14
- 
- E**
- 
- E** 1:14  
**e-** 130:2  
**e-version** 39:22  
**eager** 202:15  
**earlier** 34:2 37:5 40:4  
98:12 99:7 179:14  
219:17 302:2 303:12  
**early** 41:7 51:4 78:19  
93:13 108:8 182:9  
249:7  
**earnest** 182:7  
**earth** 27:7 61:6 90:5  
**ease** 176:1  
**easier** 20:7 79:8 109:22  
144:3 146:20 185:21  
236:4  
**easily** 32:10 227:19  
**East** 87:4,16 122:21  
**easy** 110:1 143:18  
214:15 226:22  
**ECDIS** 128:14 153:4  
199:17  
**echo** 8:6 24:20 193:14  
310:4  
**echoing** 301:1  
**echosounder** 41:12  
**echosounders** 111:1  
**eco-imperialism**  
105:17  
**Ecological** 135:7  
**economic** 16:1 70:6  
74:14 101:2,7,19  
173:20 184:6 236:13  
237:2,14 238:16  
**economy** 72:10 108:3  
109:3 117:5 158:19  
242:13,17 243:1  
**ecosystem** 65:6,8,12  
124:6  
**Ed** 1:19 4:3 6:3,20  
11:10 12:9 13:11,22  
16:22 23:16 24:4,11  
31:17,18 35:2 38:17  
40:9 48:5 50:3,5 63:1  
77:17 86:5 99:10  
104:19 106:22 121:16  
124:8 130:22 135:15  
135:18 164:17 183:17  
203:5 209:15 212:4



- 218:13 219:10 225:6  
226:10 228:16 240:9  
252:8 256:17 257:13  
270:21 278:8 290:19  
291:20 315:7,8  
**Ed's** 7:10 8:9 12:20  
57:22 166:6 239:13  
**edge** 22:6 74:9  
**Edgecumbe** 62:4  
**edgy** 60:19  
**editing** 158:21  
**Eds** 24:5  
**educated** 227:2  
**education** 67:3 245:9  
245:10  
**educational** 224:18  
**EDWARD** 1:15,17  
**Edwing** 2:4 33:22  
157:11 165:13 214:5  
236:12 272:4 307:19  
**EEZ** 185:1,9,13 186:22  
187:15  
**effect** 169:2  
**effective** 78:8 117:2  
164:13 198:7 296:1  
**effectively** 82:9 193:2  
197:21  
**effectiveness** 51:16  
**efficiency** 51:15  
**efficient** 48:17 73:7  
75:9 137:7 177:14  
198:8 240:18 289:22  
**efficiently** 52:3 192:21  
193:2  
**effort** 29:15 31:16 35:14  
36:3 49:21 58:4,22  
59:4,6 97:22 98:17  
112:11 123:12,21  
124:4,9 148:2 164:19  
169:4 181:5 184:17  
186:6,8 187:3,5 189:9  
195:9 199:1 201:19  
202:16 310:20 313:10  
**efforts** 22:3 36:8,20,21  
57:7 160:5 198:21  
239:21 256:11 300:16  
**eight** 17:22 38:22 79:4  
182:6  
**either** 41:5 120:16  
143:1 169:2 212:5  
214:8 298:13 310:4  
**elbow** 38:15  
**elders** 61:21  
**electronic** 60:4,10,16  
96:3,5 149:2 153:6  
199:12  
**element** 134:11 197:19  
**elevate** 129:14  
**elevation** 203:2,6,16  
204:4,10,14,16 207:5  
**eleven** 78:10 292:16  
**eliminate** 312:17  
**Elizabeth** 1:11 2:17  
4:12  
**ellipsoid** 125:18  
**elliptical** 180:17  
**eloquently** 90:22  
271:16  
**email** 240:20 298:10  
307:11  
**emails** 203:13  
**embraced** 24:12  
**embraces** 280:8 303:11  
**emergency** 76:6 112:22  
138:1  
**emergent** 54:12  
**emerges** 59:8  
**emerging** 4:8 219:3  
221:8  
**Emerson** 3:11 4:5  
18:18 21:3 48:22 50:3  
52:13,16 111:2  
112:13 113:10 114:12  
128:1 130:14,18  
134:14 285:14 287:16  
318:2  
**Emerson's** 132:14  
**emotional** 8:3  
**emphasis** 51:12,12  
54:16 247:10  
**emphasize** 51:2 278:21  
**Empire** 17:17 148:16  
**employee** 86:9 134:18  
**emulate** 111:19 309:21  
**enabling** 108:5  
**enacting** 299:18  
**ENC** 199:7 200:1,7,9,10  
200:15,20,20 201:2  
201:11,14,16,19,22  
202:2,14,19  
**encourage** 97:13  
159:22 251:15 296:19  
**encouraging** 20:18  
118:7  
**ENCs** 199:13,17,19,22  
200:3,4,5,12 201:3,6  
201:7 202:4,8  
**ends** 194:19  
**enemy** 300:4  
**energy** 13:5,6 178:16  
178:18  
**enforcement** 55:6  
**engage** 118:14  
**engaged** 58:6 164:7  
241:3  
**engagement** 4:10 170:9  
190:17  
**engaging** 54:8 193:17  
**engine** 212:18  
**engineering** 15:22  
155:16 176:4  
**engineers** 100:9 125:7  
231:2 258:9  
**enhance** 62:14 296:20  
**enhanced** 204:10  
205:10 242:4  
**enhancing** 307:15  
**enjoy** 85:20  
**enjoyed** 15:8 110:15  
**enormity** 18:7  
**ensure** 175:15 177:14  
190:20 255:21  
**ensuring** 48:19 137:4  
**enterprises** 22:3  
**entertain** 318:10  
**entire** 73:8 177:21  
186:3 187:15 200:9  
201:19 224:8 230:7  
310:21  
**entirely** 284:19  
**entities** 6:13 100:7  
207:22  
**entity** 183:8 208:6  
**entrepreneurial** 24:7  
**entries** 181:11  
**entry** 108:22  
**environment** 15:22  
33:15 50:9 72:11  
79:17 90:11,18 91:8  
95:19 100:6 117:5  
132:12 154:10 292:13  
**environmental** 34:19  
34:22 48:17 62:15  
70:11 71:14 77:4  
86:22 88:4,10 101:18  
105:6,7,11 110:6  
137:18 177:16 198:12  
198:17,20  
**environmentally** 73:7  
137:7 177:14  
**environments** 147:16  
**equal** 295:16  
**equated** 186:6  
**equation** 171:21  
**equipment** 57:5 84:18  
94:17  
**equipment's** 214:13  
**equipped** 110:22  
**equivalent** 285:15  
**era** 204:12  
**eradicate** 183:22  
**Ergogat** 63:3  
**erosion** 252:14 253:6  
**error** 309:4  
**Eskimo** 66:19,19 68:21  
**especially** 9:3 14:18  
18:16 36:9 68:21 76:6  
213:8 231:12 232:2  
288:12 289:9,10  
315:16  
**essential** 252:22  
**essentially** 143:16  
**establish** 53:11 59:14  
59:15 225:9 284:6  
285:7  
**established** 102:17  
**establishes** 104:16  
**establishing** 15:10  
**establishment** 171:22  
280:14 285:4  
**estimated** 173:20  
**estimates** 114:1 187:7  
**estuarine** 43:9 44:14  
**et** 36:16 43:20 54:15  
61:7 183:1 229:14  
**ethic** 89:5  
**Etolin** 201:7  
**Europe** 131:2  
**evaluate** 209:20 222:21  
**evaluation** 193:8  
**Evans** 130:1  
**event** 94:5  
**eventually** 195:21  
266:1  
**everybody** 5:17 10:1  
12:1 24:14 31:19  
43:11 97:14 112:6  
134:5,21 141:18  
148:1 157:18 197:16  
207:6 223:12,20  
234:11 240:16 248:4  
257:12 271:4 273:6  
285:18 288:19 306:8  
314:10 319:3  
**everyday** 311:18  
**everyone's** 119:6  
128:18 223:5  
**everything's** 166:16  
**evident** 300:14  
**evolve** 232:17  
**evolving** 239:16  
**exact** 130:16 167:18  
172:9  
**exactly** 15:18 33:2  
81:12 153:10 186:21  
233:7,13 256:15  
279:11 281:22  
**example** 6:8 7:10 9:11  
9:16 10:4 29:7 35:21  
69:3 73:17 171:15  
175:21 193:7 215:13  
241:12 245:13 259:7

263:4 264:13 283:13  
 291:2 299:1 300:8  
 302:16 303:9  
**examples** 37:4 45:15  
 45:19 174:7 258:22  
 313:21  
**exceeds** 26:22  
**excellent** 5:8 38:13  
 39:4 282:16 288:4  
 316:3  
**exception** 101:9  
**Exchange** 3:14 6:2 8:9  
 9:9,21 10:8,21 12:16  
 12:21 14:7 16:22  
 21:18 23:15 27:12  
 34:1,15 50:12 71:22  
 72:2 73:3 78:18 81:3  
 89:3 115:9 122:13  
 154:3 249:12 290:16  
 292:4 299:3,19 300:7  
 300:14 301:19  
**Exchanges** 12:2,22  
 20:1,3 21:13 24:5  
 296:18 297:18  
**excited** 119:1 191:16  
 193:4 194:18 196:2  
 197:11 268:1  
**exciting** 25:10 195:16  
 197:7,14  
**exclusive** 184:6  
**exclusively** 200:4  
**Excuse** 210:2  
**executing** 184:11  
**execution** 184:10  
**executive** 14:9 24:21  
 26:13 36:3 49:12,13  
 51:7 272:4 312:4,19  
 313:1  
**exercise** 164:9  
**exist** 137:9  
**existence** 183:18  
**existing** 115:10  
**exists** 26:16  
**expand** 43:2 108:17  
 193:20 312:20  
**expanded** 25:4  
**expanding** 108:6  
 109:11 160:12 184:20  
**expansion** 50:15 101:1  
 280:12  
**expect** 317:18  
**expectation** 163:14  
 244:1 245:6 273:10  
**expectations** 79:10  
 274:13  
**expected** 67:5 202:17  
**expecting** 113:21,22  
 263:6

**expensive** 159:17  
**experience** 70:12 85:17  
 105:10 194:6 259:3  
**expert** 71:13  
**expertise** 165:16 184:5  
 197:20 306:13,17  
**experts** 48:12 136:8,8  
 174:3 196:20  
**explain** 86:20 260:22  
 261:8 289:9  
**explained** 262:9  
**explanation** 160:8  
 292:2  
**exploration** 93:6 95:22  
 96:14  
**explore** 19:11 142:8  
 194:5 214:18  
**explored** 130:2  
**exploring** 237:13  
**explosives** 71:13 78:5  
**exposed** 90:4  
**exposure** 10:22  
**expressed** 99:8 156:2  
**extend** 14:15 19:16  
 58:9  
**extends** 68:6  
**extension** 278:12  
**extensions** 205:20  
**extensive** 193:6  
**extent** 149:13  
**extra** 124:2 244:13  
**extraordinary** 26:18  
**extreme** 108:3  
**extremely** 89:2  
**extremes** 249:1  
**Exxon** 72:13 213:13  
**eye** 313:19  
**eyes** 13:13

---

**F**


---

**face** 33:12 94:15 271:21  
 316:3  
**facéd** 64:8  
**facilitate** 48:19 253:20  
 254:14 282:15  
**facilitated** 76:1 276:5  
**facilities** 91:20 103:11  
**facility** 167:18 196:7  
 318:11  
**fact** 26:17 36:13,17  
 51:4 89:14 148:22  
 150:17 158:11 172:10  
 194:2 278:21 293:22  
 299:4 312:12  
**factors** 101:19 102:13  
**fair** 105:14  
**Fairfax** 259:8,11,21  
**fairly** 29:11 57:14

**fairways** 182:22  
**fall** 67:22 232:9  
**falling** 110:8  
**familiar** 64:20 92:7  
 148:8,10 189:2  
**fantastic** 17:1 23:2  
 33:11 108:11 298:20  
**far** 13:4 20:15 23:14  
 58:14 72:3 132:2  
 139:10,20 158:13,14  
 159:4,6 206:2 208:19  
 208:20 209:2 211:3  
 240:13 284:1 287:20  
**fascinating** 121:10  
**fast** 15:18 140:20 220:4  
 230:19,20  
**fast-moving** 244:7  
**faster** 12:12  
**faux** 287:7  
**favor** 319:3  
**FCC** 126:17  
**feasibility** 101:20  
**features** 192:19  
**February** 41:7  
**federal** 2:11 23:6,20,21  
 24:12 33:4 36:14,22  
 54:3 65:22 91:2 99:4  
 100:19,22 101:8  
 156:8 160:1,3 175:14  
 198:19 206:6 263:16  
 306:2 308:9  
**federally** 9:3  
**feed** 156:19  
**feedback** 41:18 165:10  
 175:9 246:15 263:3,8  
**feeding** 124:11  
**feel** 40:11,13 74:4 224:1  
 232:11 244:19 248:17  
 253:1,2 261:20 262:2  
 318:12  
**feeling** 57:13  
**feet** 170:17 180:3  
 264:20 319:16  
**fell** 274:8  
**fellow** 65:7  
**felt** 23:18 56:5 164:10  
 269:14  
**fence** 80:10 81:6 96:5  
**fences** 96:2,3  
**fencing** 84:17  
**Fennica** 93:11  
**fewer** 7:6 245:9  
**fiber** 81:5,7,15 104:12  
**field** 110:11 186:4  
 205:21 212:1  
**fields** 48:14  
**figure** 70:22 181:3  
 187:12 213:6 241:17

256:4 269:1 292:19  
**figured** 225:21 269:15  
**figuring** 133:5 289:4  
**file** 267:8  
**fill** 13:21 308:18 310:13  
**filling** 6:5  
**final** 4:19 68:12 206:21  
 284:19  
**finally** 7:14 11:22 60:18  
 185:4  
**financial** 77:4  
**find** 6:13 13:20 14:3  
 81:13,15 97:15  
 104:17 107:3 128:5  
 147:5 222:22 226:2  
 295:22 297:15  
**finding** 6:4  
**findings** 129:19  
**fine** 149:12 275:16  
 286:8 307:13 317:15  
**finger** 105:19 274:20  
**finish** 311:4  
**finished** 56:9 118:1  
 210:18 302:13  
**Finnish** 118:19  
**fire** 52:3,4 170:3  
**fired** 5:20  
**firefighting** 113:5 138:2  
**first** 5:12,18 13:14  
 22:19 29:21 30:2,3  
 38:3,22 42:19 44:10  
 45:21 48:21 50:17  
 56:9 64:9,18 85:13  
 86:6 88:9,21 90:8  
 105:5 106:19 107:12  
 118:12 120:4 148:11  
 155:5,10 157:11  
 161:3 163:18 182:17  
 184:11 200:1,3,7,20  
 201:14,17 209:20  
 210:1,9,18 211:5  
 213:2 218:9 223:9  
 229:4 236:16,19  
 255:9 257:18 259:12  
 266:3 267:18,21  
 269:2 276:10 291:16  
 308:1 311:13 314:14  
**firsthand** 40:13  
**fiscal** 102:17 179:7  
 195:2,2,14  
**fish** 110:10  
**fished** 62:1  
**fisheries** 26:7 41:13  
 42:1,14 45:16 46:7,9  
 54:11 85:16 139:12  
 194:17  
**fisherman** 153:9  
**fishing** 90:17 91:5,6,12

**fit** 200:16  
**five** 19:4 39:19 66:17  
 68:2 77:13 140:16  
 146:9 157:16 170:4  
 176:8 177:2 218:22  
 233:17 247:6 305:13  
 307:20  
**five-year** 118:1 167:6  
**fixed** 243:4 244:11  
**flags** 95:13  
**flattering** 56:4  
**flavor** 209:16  
**fleet** 57:17 246:2  
**flesh** 281:22  
**flew** 38:2  
**flexibility** 30:12 276:4  
 302:22 304:17,19  
**flexible** 8:13 27:17  
 302:6  
**flip** 151:12 157:17,22  
**flipped** 117:15  
**flipping** 214:15  
**float** 31:13,13  
**floating** 74:1 118:9,21  
 138:22 227:21  
**flow** 159:1  
**flowing** 14:3  
**flown** 49:4  
**flows** 175:4  
**flux** 274:4  
**fly** 55:15 253:7  
**flying** 85:14 306:8  
**focus** 14:19 15:3,4  
 25:14 36:11 182:17  
 184:1,3 193:12  
 232:20 233:4 236:8  
 240:17 263:2 305:17  
**focused** 166:9 167:3  
 227:21  
**focuses** 249:19  
**fog** 150:10  
**fold** 241:20  
**folks** 9:1 40:4 42:15  
 82:20 162:4 174:22  
 194:4 198:4,16  
 226:12 241:3 244:12  
 250:8 256:1,5 257:6  
 268:17 298:13 314:16  
**follow** 65:4 110:14  
 135:12 200:6 201:4  
**follow-on** 204:13  
 226:18 243:13,22  
**follow-up** 17:13 237:5  
**following** 83:15 209:18  
 319:14  
**follows** 204:7 289:12  
**followup** 122:2,10  
 159:9

**food** 65:12,19,21 66:2  
 77:4 90:20 198:15  
**foot** 129:2 138:22  
 305:21  
**footprints** 200:17  
**footsteps** 319:14  
**force** 89:19 174:14  
**fore** 162:12  
**forecast** 45:8 179:1  
**forecasting** 43:7 44:1  
 44:15 45:5  
**forefront** 47:19 250:12  
**foreign** 27:7  
**forget** 151:15 298:6  
**forgetting** 167:14  
 233:19  
**forgot** 155:9  
**forgotten** 90:7  
**form** 66:15 67:12  
 135:20 144:19  
**formal** 240:12  
**formalized** 59:5  
**formally** 68:9  
**format** 130:10 288:13  
 307:8  
**formats** 146:20  
**formed** 266:13  
**former** 105:20 121:4  
 308:12  
**formerly** 108:20  
**forms** 193:14  
**formula** 101:11  
**Fort** 87:12  
**forth** 159:19 244:5  
 305:6  
**Forum** 53:21  
**forward** 7:14,18,21 13:8  
 19:12,20 20:14,15  
 29:8 35:1,2 40:8  
 43:15 44:8 79:22 80:5  
 85:9 102:8 117:20  
 118:3 119:6 144:11  
 153:19 158:9 160:22  
 194:7 198:22 199:3  
 220:4 247:20 250:15  
 266:22 269:6 282:5  
 319:9,14  
**forward-** 247:2  
**forward-looking** 246:9  
 247:18  
**found** 64:5 70:13 88:11  
 258:4  
**foundation** 7:18 134:8  
 172:1 189:9 271:19  
**four** 39:16 56:3 146:14  
 169:12 191:5 209:18  
 210:15 236:14,18  
 241:19 242:9,11

245:9 281:15 284:2  
 284:15 288:14 291:8  
 305:13 307:1  
**fourth** 195:1 242:3  
**frames** 176:2  
**frank** 33:6 162:6 163:5  
 175:18  
**frankly** 159:18 313:14  
**freedom** 54:19  
**freight's** 101:6  
**frequencies** 132:7  
 133:2 140:16 146:9  
**frequency** 140:11,14  
**fresh** 162:11,14  
**fricking** 249:16  
**Friday** 108:18 131:20  
 231:6  
**friend** 61:18 72:4 140:3  
 167:21  
**friends** 140:2  
**front** 17:18 18:1 51:10  
 56:3 148:15 158:11  
 200:14 235:3 288:16  
**frontier** 7:5 142:5  
 280:17,20  
**frosting** 191:15,16  
**frozen** 92:1  
**frustrating** 33:7  
**frustration** 145:2  
**frustrations** 96:9  
**fuel** 16:5 75:21 78:2  
 88:1 92:15  
**fueling** 75:17,20  
**fuels** 75:18  
**Fuhs** 3:13 71:4,5 72:15  
 74:11 77:22 78:13  
 112:19 114:4 126:13  
**fulfill** 159:18  
**full** 198:20 234:1  
 235:11 301:11  
**full-blown** 190:21  
**full-coverage** 190:13  
**fully** 173:15 185:1  
 201:11  
**fun** 114:19 116:7 315:9  
**function** 127:18  
**fund** 61:9 105:6  
**fundamental** 113:13  
 144:2,6,11 280:7  
**fundamentally** 303:21  
**funded** 9:3 122:17  
 123:2 178:15 313:14  
**funder** 252:16  
**funding** 32:2 69:8 82:7  
 102:1 116:18 124:2  
 160:15 283:1,12,20  
**funds** 116:14  
**funny** 107:1

**further** 47:21 63:10,13  
 79:11 86:20 91:10  
 135:13 136:10 184:5  
 237:13 244:19 273:20  
**future** 10:19 16:6 24:16  
 39:20 62:17 69:12  
 92:16 135:17 160:15  
 181:17 198:11 217:19  
 219:6 229:17 231:16  
 270:4 277:5  
**future's** 141:22  
**FY** 181:7  
**FY19** 167:3,4

---

**G**


---

**gain** 70:6  
**Galapagos** 71:19  
**Gallaudet** 2:9 5:9 14:6  
 24:18 28:17,22 50:19  
 86:13 106:19,22  
 107:7,11 109:9  
 229:21 242:18 282:10  
 285:22 289:7 293:21  
 294:9,9,12 295:19  
 296:7  
**Gallaudet's** 267:22  
 268:4 316:22  
**gallons** 78:6  
**game** 53:7 104:13  
**gap** 190:18 244:21  
**gaps** 6:4 16:19 308:18  
 310:13  
**Garamendi** 57:11  
**Gary** 1:22 9:7 168:7,20  
 169:3 257:18 260:9  
 264:12 265:21 302:9  
**gas** 67:12 93:6 95:22  
 96:14 106:3  
**gather** 56:21 236:17  
 308:15  
**gathering** 55:19 182:7  
 219:11  
**gauge** 225:15 239:1  
**gauges** 125:13 130:10  
 304:12  
**gavel** 319:17  
**gear** 113:3  
**gee** 1:16 7:2,2 23:19  
 133:9 142:17,21  
 143:4 151:20 214:20  
 215:8,20 216:15  
 248:7 260:8 261:11  
 274:19 280:5 283:3  
 285:3 290:9 301:8  
 302:19 311:2,5  
**Geez** 15:7  
**general** 40:10 105:10  
 122:5 125:4 126:2

155:1 248:21 258:17  
258:18 274:21 278:14  
**general-** 201:5  
**generally** 148:9 192:17  
301:20  
**generate** 42:12 82:20  
83:3 202:13 236:17  
**generated** 177:17  
**generation** 174:18  
**generations** 63:5,8,13  
**generic** 234:3  
**geodesy** 310:5  
**geodetic** 2:4,16 36:9  
174:2,18  
**geopotential** 170:15  
**Geospatial** 173:6,8  
**Gervelis** 174:13  
**getting** 7:14 8:21 10:2  
15:15 16:5 17:2 18:10  
19:10 34:21 37:21  
38:10 59:5 87:15 89:1  
97:20 98:6,9 99:6  
101:1 108:1,17 118:4  
118:6 130:7 131:19  
140:7 144:5 145:3  
149:11 164:11 166:6  
167:3 173:22 180:13  
180:13 187:6 197:7  
198:1,2 203:8 205:6  
206:4 209:6,22  
212:15 214:8,16  
225:6 247:15 263:15  
270:6 274:17 296:21  
302:6 303:16  
**giant** 33:13  
**gin** 17:14  
**give** 70:19 82:5 115:10  
157:18 158:17 160:8  
160:18 174:7 189:3  
205:3 216:8 257:19  
259:7 261:22 286:6  
288:20 298:1 305:3  
305:18 318:11  
**given** 101:13 102:3  
165:15 176:9 192:6  
205:19 235:7 273:11  
287:7 300:14  
**gives** 57:17 176:11  
**giving** 117:9 141:17  
261:19 263:17  
**Glacier** 83:8,18 178:11  
**glad** 11:20,22 18:11  
99:22 114:6 118:19  
165:6  
**Glen** 21:5 34:3 306:2  
**GLENN** 2:12  
**glimmer** 308:2  
**Global** 193:15

**globe** 105:22  
**goal** 160:7,15 192:17  
195:21 204:15 222:9  
272:20 302:8 318:10  
**goals** 13:9 159:15  
177:13 193:9 194:1  
194:15  
**God** 16:12  
**gold** 8:10,11,12 99:10  
288:1 300:3 303:1  
309:4  
**goodbye** 147:21  
**goods** 74:19 92:9,10  
**Goodwin** 3:15 4:6  
61:17 63:1,4 77:2  
110:3 120:2 287:4  
**gosh** 252:13  
**GoToMeeting** 40:10,22  
**gotten** 165:15,20 206:1  
306:10  
**government** 9:12 23:20  
23:22 27:21 58:8  
67:10 73:3 135:1  
195:2 231:5 254:1  
290:22 303:7  
**government-only** 29:12  
**governmental** 6:13  
**governments** 53:20  
97:4  
**Governor** 271:15 273:5  
286:19  
**Governor's** 97:1 291:6  
**GPS** 175:6 217:8  
**GPS-based** 176:1  
**grab** 264:10 312:4  
**grade** 73:20  
**graduate** 48:22  
**graduated** 317:16  
**grain** 164:18  
**grammar** 159:2  
**graph** 185:11 187:4  
**graphic** 162:16  
**graphics** 158:2  
**grassroots** 297:19  
**grateful** 62:19  
**gravel** 92:14  
**gravitated** 86:21  
**gray** 95:13  
**greatest** 208:9 264:2  
305:18  
**greatly** 175:22 306:22  
**green** 208:1  
**grew** 74:3,7  
**gridded** 200:16  
**gripers** 265:12  
**gross** 199:15,16  
**ground** 97:16 196:9  
212:16

**group** 4:3,8,10 8:9 11:1  
25:4,13 30:3,4 31:6  
38:17 39:15 40:11  
43:6,7 44:22 46:17  
47:20,22 124:6  
135:17 136:2,5  
142:15 155:3 157:1  
158:10 204:2 220:22  
222:6 225:13 243:3  
244:5 246:8 250:12  
258:2,5,13 262:15  
263:7 264:4 266:21  
307:6,7,9 311:20  
**group's** 170:9 225:15  
**grouped** 309:7,18  
**groups** 8:8 12:15 37:6  
66:14,18 67:9,15  
68:21 69:11 156:9  
174:11 263:2 296:18  
**growing** 42:4 89:15  
95:1 199:2  
**grown** 119:5  
**guarantee** 76:16 155:22  
**Guard** 3:12 18:19,21,22  
19:7 21:9 34:4 49:5  
49:13,15 50:14 51:11  
52:6 53:21 55:3 57:21  
61:11 66:15 67:4  
68:14 80:3 81:10  
87:12,13 95:15 97:20  
102:15,19 104:15  
108:7,13,19 109:4  
111:17 112:9 114:7  
114:17 115:16 116:12  
116:16 118:8,11,18  
118:19 119:2 126:19  
129:16 134:19 140:6  
149:13 199:18 246:1  
255:2 282:2,7,10,11  
283:6,15 285:16,20  
286:5 293:6 307:21  
**Guard's** 87:18 132:7  
**Guards** 118:16  
**guess** 5:22 7:13,15,18  
27:14 45:3 77:8 85:8  
126:15 133:10 145:11  
168:12,18 182:15  
188:12 191:12 214:22  
216:18 217:1 221:12  
222:8 226:20 282:13  
292:20 293:17  
**guests** 50:18  
**guidance** 83:4 127:21  
**guide** 175:10  
**Gulf** 94:15 186:9  
**gumbo** 232:7 233:2  
296:10  
**gun** 83:10

**Gwen** 174:13

---

## H

---

**habitat** 26:7 45:16  
237:22  
**habitation** 63:9  
**hail** 140:14  
**hair** 51:22  
**half** 28:21,22 230:12  
288:22  
**Hall** 1:11,17 7:22,22  
116:11 163:16,16  
220:7,18 221:5  
224:20 233:21 242:15  
242:20 243:12 255:7  
268:15 270:14 273:9  
274:9 275:20 283:11  
283:17 284:8,16  
285:12 287:13 294:18  
295:1,7,14 296:5  
300:2 315:13  
**Hampshire** 2:2,6 40:17  
46:12 230:6  
**hand** 309:13  
**handle** 293:10  
**hands** 317:10  
**Hans** 179:9  
**Hanson** 251:16 255:11  
**happen** 8:5 33:17,19  
86:1 171:6,7 206:19  
207:13 260:3 269:11  
275:16 299:5,11  
313:16,17 315:21  
**happened** 216:21 220:8  
226:17 229:22 270:4  
**happening** 7:21 24:2  
36:21 42:3 51:9 75:11  
81:1 91:16 117:12  
119:8 205:16 220:4  
221:14 222:15 227:1  
**happy** 14:10 63:2 66:6  
177:3 191:10 192:7  
234:10 253:12 254:6  
264:3 300:19  
**harbor** 67:16 71:9  
91:20 93:14 101:10  
191:2 201:7  
**harbors** 93:10 98:3  
102:7 182:22  
**hard** 14:2 17:20 97:8  
116:16 161:6 171:7  
210:6 212:22 235:9  
242:1 260:6 305:12  
305:16  
**hardest** 212:14 263:14  
**hardware** 84:19  
**Harmon** 2:15 4:14  
199:6,8

**harmonic** 216:6  
**harmonized** 79:6  
**harness** 13:4  
**harsh** 64:16 269:13  
**harvest** 123:4  
**hat** 50:10 231:9  
**hazards** 71:14 82:21  
 139:5 272:15  
**HAZMAT** 177:16  
**head** 49:11,14 167:16  
**headlines** 264:19  
**headquarters** 56:7  
 117:22 175:9 231:20  
 254:18  
**Heads** 190:14  
**health** 65:6 184:14  
**Healy** 55:21 56:3,4  
 111:19 112:5  
**hear** 8:18 10:18 13:16  
 28:7 37:2 55:21 61:9  
 62:20 65:18 72:18  
 108:11 110:13 114:6  
 121:10 133:10 139:7  
 141:12 155:2 196:11  
 205:4 225:10 234:13  
 234:18 273:8 301:2  
**heard** 8:17 12:14 30:7  
 37:5 57:15 63:13 82:8  
 83:1 84:7 86:10 89:21  
 92:21 99:13 105:17  
 110:3 114:8 124:19  
 170:10 171:15 172:20  
 179:9 181:13 196:11  
 198:13 227:4 234:6  
 288:10 299:20 313:22  
**hearing** 12:13 15:13  
 16:16,17 98:7 119:4  
 138:13 262:14 306:16  
**heart** 17:3  
**hearts** 239:5  
**heavily** 77:1 195:11  
**heavy** 75:21 190:16  
**height** 170:16  
**held** 156:6  
**hello** 124:16  
**help** 13:8 15:2 16:6  
 35:2 55:21 60:12  
 78:22 80:4 111:12  
 120:21 122:18 123:10  
 127:7,18 131:5  
 166:20 170:21 180:10  
 190:2 193:1 195:8  
 208:17 210:11 211:22  
 222:22 225:9 229:12  
 234:15 250:14 254:4  
 254:16 279:21 292:7  
 292:11 309:8 313:18  
 315:17

**helped** 213:10 305:2  
 316:2  
**helpful** 9:6 70:2 117:21  
 117:22 121:5 165:11  
 165:12,14 209:8  
 216:1  
**helping** 20:4 24:13,14  
 61:12 111:20 123:12  
 164:10 212:2  
**helps** 21:14 100:3  
**hemisphere** 74:17  
**herded** 112:15  
**herding** 225:22  
**heritage** 65:10  
**hesitated** 52:9  
**hey** 84:4,8,11 236:22  
 243:17 244:7 309:19  
**HF** 208:16,22 209:6  
**Hi** 7:22 188:18  
**hide** 185:17  
**high** 62:3 123:7 251:5  
**high-value** 314:4  
**higher** 150:4 180:19  
 286:1,1 305:22 317:4  
**highest** 35:16 121:13  
 218:21  
**highlight** 17:6 22:10  
 23:14 30:2 34:2 36:7  
 36:10 89:14 92:5 93:8  
 98:4 100:18 102:11  
 103:10 124:22 161:1  
 263:2,10 303:17  
**highlighted** 36:3 95:1  
 227:8  
**highlighting** 107:20  
 158:7,8  
**highlights** 159:15  
 248:16 280:17,20  
**highways** 182:20  
**Hill** 86:19 98:16 129:15  
**hire** 189:13  
**hires** 12:9  
**hiring** 28:6  
**historical** 122:16  
**history** 39:3 90:16  
**hit** 14:2 42:7 59:12  
 128:13 129:2 305:12  
 316:4  
**hits** 138:9  
**hitting** 139:5  
**hold** 136:6 141:1  
 247:13  
**holding** 155:17 173:6  
**Holy** 77:20  
**home** 10:15 28:13 53:8  
 313:2 316:4  
**homeland** 25:19 54:9  
 94:19 102:13,14

**homes** 110:8  
**hometown** 55:15 86:15  
**honest** 302:21  
**honestly** 146:15  
**honor** 289:10 319:8  
**Hoonah** 179:13  
**hope** 11:21 18:15 20:21  
 61:11 92:16 162:3  
 163:3,4,14 167:8  
 185:2 264:22 308:2  
**hoped** 247:15 273:18  
**hopeful** 19:5 97:3  
**hopefully** 5:10 23:2  
 61:9 82:15 102:1  
 149:20 176:8 180:22  
 181:1 203:18 207:9  
 254:8,17  
**hoping** 79:21 80:4  
 81:22 129:12 167:1  
 179:6 180:16,20  
 181:6,17 194:4  
 215:15  
**horizontal** 257:22  
**horse** 119:13  
**horsepower** 13:8  
**hospital** 113:6  
**hospitals** 103:4 104:4  
 104:10  
**hot** 221:17 222:2 235:3  
 251:1  
**hottest** 221:18  
**Houck** 70:20  
**hour** 71:4 129:5  
**hours** 274:8  
**house** 12:11 97:19  
**household** 92:10  
**Housing** 104:14  
**Houston** 315:6  
**Houston-Galveston**  
 236:19  
**how'** 170:19  
**how's** 170:15  
**HSRP** 1:13,14,15 2:1,11  
 2:21 4:4,8,17 8:3 15:7  
 17:8 36:6 38:22 41:20  
 42:18 86:14 98:4  
 107:2 122:2 134:10  
 137:16 142:7 155:8  
 157:2,10,12,20 163:4  
 167:16,20 169:1  
 182:11 230:1 263:2  
 263:13 264:4 269:18  
 275:15 277:4 308:7  
 310:21  
**hub** 75:6 297:22  
**huge** 255:9 256:6  
 285:22 297:8  
**human** 63:9 223:21

**hundred** 63:5 104:7  
**hundreds** 313:11  
**hunter** 66:14,18 68:20  
 69:10  
**hunters** 63:11,12 68:1  
 69:13 70:15 80:10  
 83:5  
**hunting** 64:10 65:11,17  
 80:21 90:17 91:5  
 139:13  
**hunts** 69:4,18  
**hurdle** 40:7  
**hurricane** 128:10  
 254:22  
**hurricanes** 109:21  
 128:11  
**Hydro** 184:14  
**hydrodynamic** 47:10  
 245:21  
**hydrographic** 1:4,11  
 2:3,6 5:5 20:15 22:9  
 22:11 32:18 41:22  
 224:7 245:10 246:2  
 271:14  
**hydrography** 25:16  
 28:20 37:11,11,13  
**hydrologic-meteorol...**  
 79:1  
**hydroservices** 300:18

---

 I
 

---

**ice** 66:20 82:21 83:2  
 125:11 139:16 150:12  
 150:16  
**ice-capable** 57:16  
**icebreaker** 56:18 76:9  
 103:6 113:9  
**icebreakers** 53:1,2 76:1  
 76:3,11 95:4,12  
 110:20 112:21  
**Iceland** 71:20  
**Icelandic** 118:18  
**idea** 16:14 31:14 32:15  
 43:4 96:13 138:21  
 139:20 141:15 168:14  
 197:2 218:15 236:7  
 240:11 245:2 254:13  
 255:16 270:10 273:4  
 291:9  
**ideal** 267:16  
**ideas** 19:19 39:14 41:15  
 262:11 263:1  
**identified** 82:1 94:9  
 218:16  
**identify** 79:19 127:7  
 178:17 190:19 191:3  
 220:12  
**identifying** 136:12

272:20 275:9  
**IfSAR** 14:11 15:12  
 21:21 23:1 271:5  
**ignorance** 114:10  
 214:22  
**illustrated** 272:1  
**imagine** 209:21 259:22  
 260:5 265:13  
**immature** 47:9  
**immediate** 43:11  
**immediately** 42:13,14  
 288:21  
**immigration** 54:12  
**IMO** 58:13,17 75:20  
 83:20 84:20 85:3  
 103:9,11 117:1  
**impact** 51:6 70:9 93:19  
 110:10 117:4 139:12  
 175:4,19 198:14  
 239:22 258:15,18  
 259:1 261:6,9 262:20  
 273:6  
**impacted** 62:16 77:2  
 94:12 121:12 123:10  
 258:6 266:10  
**impacting** 139:11  
**impacts** 67:6 91:1  
 108:2 137:6  
**implement** 26:12 124:3  
 292:7,12  
**implementation** 85:7  
 159:10 167:2,7 313:6  
**implementations** 20:10  
**implemented** 160:9  
 201:11  
**implementing** 115:1  
**implications** 10:18  
**importance** 25:20  
 72:11 73:13 125:1  
 152:1 158:8 171:16  
 271:17,22 293:21  
 298:3  
**important** 7:17 11:20  
 22:3 25:17 26:3 37:15  
 38:4,8 47:11 49:1  
 50:1 52:14 58:2 66:5  
 72:18,22 73:14,15  
 74:15 78:14,22 79:13  
 79:14 85:6 99:14,18  
 99:21 100:5 116:1  
 125:18 133:18 164:7  
 164:16 180:8 195:5  
 222:16 226:21 228:3  
 228:6,8 229:10  
 231:12,15 232:5  
 238:22 245:4,5  
 250:11 253:19 254:12  
 255:5 282:14 288:6

288:10,16 289:5  
 295:5,8 296:7,13  
 298:14 302:11 303:20  
 306:19 307:1 311:9  
 313:22 315:16  
**impossible** 187:20  
**impressed** 7:11 9:8,13  
 10:4 17:8,14,15 21:18  
 21:21 50:11 316:21  
 317:7,20,22 318:6  
**impressive** 9:22 311:20  
**improperly** 13:6  
**improve** 26:3 100:3  
 158:22 176:13 200:8  
 251:22 262:7  
**improved** 79:1 103:17  
 201:14,20 272:13  
**improvements** 31:22  
 202:4  
**Improving** 251:17  
**in-** 183:1  
**inaccurate** 183:15  
**incendiaries** 78:6  
**incident** 90:1 93:11  
 94:2 99:17 104:6  
**inclined** 233:10  
**include** 25:5 158:13  
 160:19 245:9 266:17  
 285:10 310:5  
**included** 70:16 82:2  
 102:11 113:19 157:3  
 160:21 231:16 232:12  
**includes** 56:18 63:18  
**including** 72:13 158:2  
 174:10 175:13 298:4  
**inclusive** 54:22  
**inconsistencies** 202:7  
 262:6  
**incorporate** 162:10  
**incorporated** 18:20  
 68:9 113:8 118:20  
 163:11  
**incorporates** 204:13  
**incorporating** 166:5  
 245:11 277:19  
**increase** 42:16 43:22  
 53:13 70:8 127:15  
 300:16  
**increased** 43:16 48:19  
 60:3 62:17 67:6 74:22  
 91:12 95:14 114:7  
 137:5  
**increases** 54:14 66:13  
 68:18 232:3  
**increasing** 89:10 91:7  
 95:15 108:6  
**increasingly** 64:22  
**incredibly** 122:16 168:4

230:19,20 317:5  
**independently** 111:17  
**index** 76:22  
**Indian** 179:8,15 180:1,7  
 181:2 215:14  
**Indiana** 63:17 119:19  
 119:20  
**indicate** 61:3 226:6  
**indicators** 158:1  
**individual** 31:8 146:2  
 236:15 257:2  
**individually** 263:8  
**individuals** 264:4  
**industrial** 74:16  
**industry** 19:7 32:4  
 62:10 67:11 68:1 73:5  
 73:5,9 127:9,18  
 129:17 152:18 154:1  
 154:16,17 173:6,12  
 199:3 213:15  
**inefficient** 74:18  
**influence** 127:8  
**influenced** 213:5  
**influencing** 238:15  
**inform** 246:13 247:16  
 261:2  
**informal** 270:13  
**Informally** 263:5  
**information** 13:19  
 36:13 55:19 56:21  
 58:20 59:5 60:9,16  
 68:22 69:4,10,11,20  
 89:11 98:13 100:2  
 114:14,20 115:6  
 117:9,10,16 120:12  
 120:14 121:2 127:22  
 128:6 129:1,9 130:5  
 130:22 131:15 132:2  
 132:11 134:9 137:2,2  
 137:3 139:22 140:1,6  
 140:7 141:7,10,16,16  
 141:18,22 142:1,1  
 144:19 145:16 146:19  
 147:4,6,12,18,19  
 148:6,10,12 149:11  
 151:2 157:1 164:12  
 177:18 182:8 203:18  
 204:6 212:20 213:9  
 215:3 216:8 220:15  
 226:7 232:3 234:1,4  
 243:13 244:11 245:1  
 246:12,16,17 252:5  
 258:21 261:5 271:18  
 276:4 281:7 283:8  
 293:13 302:11 310:15  
**informational** 42:20  
 155:13 208:2  
**informative** 316:5

**informed** 265:7  
**infrastructure** 46:14,21  
 47:1 59:1 60:18 76:21  
 88:7,8,19 89:7 91:2  
 94:7 95:17 96:12 98:2  
 99:21 103:2,5,15,22  
 104:14 133:12,19  
 134:1,13,19 143:7  
 152:1,3 154:12  
 155:19 156:4,17  
 175:22 196:12 197:4  
 249:18,22 280:7,22  
 304:1 311:11  
**infrared** 278:6  
**ingenuity** 300:10  
**inhabited** 63:6  
**inherently** 293:1  
**initial** 182:13 205:16  
**initially** 58:7  
**initiative** 25:3 56:15  
 135:8  
**initiatives** 292:8  
**inland** 204:20  
**Inlet** 81:11 178:2,7,16  
 178:19,22 212:9  
**innovation** 9:9  
**innovative** 6:2,9 317:1  
 317:8  
**input** 97:6 109:6 145:3  
 222:10,14,22 226:15  
 250:5  
**inputs** 226:9  
**inside** 24:1 112:13  
 114:12  
**insightful** 286:16  
**install** 84:18  
**instance** 46:15 224:4  
 251:3,13 280:1  
**instrumental** 71:21  
**instrumentation** 215:19  
**instruments** 130:9  
 196:20  
**insufficiently** 13:6  
**integer** 202:7  
**integrate** 45:7 144:18  
 195:18  
**integrating** 217:18  
**integration** 272:12  
 294:1,5,6  
**intelligence** 197:22  
 246:5  
**intelligent** 317:5  
**intend** 182:18 184:11  
**intent** 182:10 223:18  
**intentionally** 105:3  
**interact** 143:21  
**interacted** 208:5  
**interacting** 144:7

**interaction** 40:7 43:14  
269:4  
**interactions** 283:6  
**interactive** 40:2 139:20  
**interagency** 36:8 54:2  
55:18 57:2 59:21  
111:4 204:2,3  
**interest** 39:16 68:5  
89:15,18 90:15 95:2  
100:16 117:18 135:9  
155:21 156:2 194:17  
206:5 210:16 213:16  
216:20 219:5 220:16  
223:21,22 230:9  
233:12 239:15 242:18  
254:19 265:9  
**interested** 18:22 43:12  
82:15 119:21 204:5  
211:15 214:7,12  
215:12 218:17 223:6  
225:11 228:5 234:22  
240:5,22 242:6 243:7  
248:13 258:12  
**interesting** 13:16 40:1  
40:3 47:5 49:3 88:11  
107:3 135:11 196:5  
196:15 238:16 242:17  
245:15 250:7  
**interests** 19:8 31:4 54:7  
66:7 97:12 102:14  
208:5 272:5  
**interface** 143:9  
**interim** 155:5  
**Interior** 25:7 36:19  
**internal** 166:11,19  
**international** 79:3  
81:18 85:6 88:10 91:3  
95:8 199:16  
**internationally** 133:2  
**Interoperability** 39:21  
**interpret** 146:20  
**interpreted** 265:1  
**interrupt** 302:14  
**intersect** 81:8  
**intertidal** 153:12  
**intervals** 202:9  
**interview** 207:18  
**intrigued** 10:12  
**intriguing** 137:14  
**introduce** 142:6 151:2  
223:20  
**introducing** 221:20  
**introductions** 121:17  
**intuitive** 143:15 144:19  
**inundated** 276:3  
**Inupiaq** 63:3,14,15 64:3  
**invented** 32:6  
**invents** 32:3

**invest** 304:4  
**invested** 89:18 313:12  
**investigating** 222:13  
282:4  
**investing** 260:18  
**investment** 171:19  
190:5 207:12 280:21  
304:7  
**invited** 42:21 50:18  
**inviting** 50:6  
**involved** 12:1 33:2 71:8  
72:6,12 79:5,18 88:3  
102:9 111:8 154:1  
192:14 195:12 209:22  
**IOOS** 12:15 30:3 158:5  
267:19 268:13,20  
269:7 270:5,20 271:2  
271:4,13 272:17  
275:15 276:21 277:5  
277:17 296:18 308:7  
308:13,14 309:11  
**IoT** 246:4  
**iPad** 109:5  
**IQ** 317:4  
**iron** 64:9  
**ironing** 37:18  
**irregularly-shaped**  
200:10  
**irrelevant** 140:1  
**Island** 68:7 178:10  
**Islands** 71:15,19 201:8  
**issue** 30:15 69:9 130:12  
131:16 132:10,13  
137:17 168:10,15,18  
168:19 203:10 218:18  
219:5,12 220:6 221:2  
221:22 222:1 223:4,5  
225:20 226:8 228:19  
228:21,22 232:17,18  
232:22 233:6 234:17  
240:2 242:8 244:2  
246:3,17 251:5,9,22  
252:11 253:2 255:13  
256:9 257:17 259:21  
261:12 265:11,20  
266:2,4,6 281:8,14  
282:2 283:15 285:13  
288:2 308:3  
**issues** 22:18 48:11 49:7  
49:16,20 67:5 73:11  
85:18,22 86:2,22 88:4  
88:11 91:5 116:12  
131:18 132:1,22  
133:14 134:20 136:12  
136:18,21 139:9  
156:14 159:2 195:7  
214:17 219:9 223:6  
225:6 248:10,11

250:3,12,13 263:19  
268:19 272:21 274:22  
275:10 281:6,6  
300:15 303:11,17  
**it'd** 133:4 136:11 162:15  
**it'll** 112:10 113:12  
130:10 180:18 181:19  
233:9  
**item** 141:20 253:17  
**items** 20:3 41:21 64:9  
167:3 230:22 266:21  
272:22 275:11 290:13  
296:22  
**iteration** 76:9  
**iterations** 242:7  
**iterative** 270:1,2  
**IV** 193:15 194:3  
**iXblue** 193:19

---

**J**


---

**J** 1:15,17  
**James** 70:20  
**January** 41:7 264:20  
**Jay** 3:17 4:6 85:13,13  
85:21 86:3 107:12  
109:18  
**Jeff** 100:12  
**Jersey** 191:4 210:8  
236:20  
**jet** 104:1  
**Jim** 129:22  
**JOA** 124:17  
**job** 17:4 37:17 52:8  
105:5 158:8 222:19  
256:1 265:14 295:18  
295:20 298:22 299:4  
310:21  
**jobs** 66:4 236:6  
**join** 24:19 107:4  
**joined** 244:17  
**joint** 2:3,6 22:8,11  
59:13 267:18 269:3  
271:1,12 272:16,18  
273:10 274:10,11,15  
276:14,18,20 277:3,6  
277:7 289:18,19  
293:19 296:14 308:6  
308:6 309:19  
**jointly** 36:22  
**Jon** 129:22 130:1  
**jot** 264:9 267:4  
**journal** 26:19  
**journalist** 121:4  
**Joyce** 1:12,14 9:20  
114:5 129:19 157:9  
186:1 226:10 270:21  
305:5 307:4 315:1  
319:13

**Jr** 3:15 4:6 86:9  
**Juliana** 2:3 14:6 36:1  
163:20 249:20 260:4  
262:9,10 278:9  
283:21 318:18  
**Juliana's** 33:18 43:6  
**Julie** 1:21 15:6 136:4  
142:12 156:22 157:8  
226:10 239:5 265:16  
277:2 293:16 297:13  
**Julie's** 234:9  
**July** 40:18  
**jump** 266:15  
**jumped** 309:12  
**Juneau** 1:12 17:17 38:3  
38:4 50:8 86:8,15,16  
88:21 126:5 148:16  
271:14 301:16 315:2  
**justify** 101:8

---

**K**


---

**Kachemak** 179:5  
**Kasitsna** 179:5  
**keel** 76:12  
**keep** 8:16 14:3 28:14  
33:8 37:13 38:4 44:18  
53:3 96:3,5 106:4,4,5  
109:2 129:6 170:3  
208:13 220:15 226:7  
226:22 228:3,6 232:7  
233:2,2 243:4,15,17  
265:7 279:12 296:9  
313:19 314:8  
**keeping** 37:1 173:14  
201:13 300:18  
**keeps** 16:18 28:9  
104:19  
**keg** 17:12  
**Kelly** 1:17 11:10,10  
12:5 209:15,15  
256:17,17 296:13  
**Ken** 167:15  
**kept** 166:9 222:3 232:6  
**key** 12:12 16:21 18:1  
22:2 41:21 68:16 72:3  
115:21 133:14 134:4  
134:11 152:9 154:7  
154:14 158:1 178:18  
192:22 197:13 239:18  
240:17 254:2 255:7  
256:6 266:16,21  
267:2,5 269:4,21  
283:7 300:17 301:4,7  
304:20  
**KHADJINOVA** 126:10  
**kick-start** 195:8  
**kicked** 84:10  
**kid** 87:10 317:3

**kidding** 210:6  
**kids** 73:11,20 115:12  
**Kikiktagruk** 63:14  
**Kim** 1:17 7:22 163:16  
 221:7 223:11 246:10  
 251:6 270:17 276:17  
 302:4  
**Kim's** 275:5  
**kinds** 32:3 62:9 144:18  
 206:14  
**kinetic** 178:18  
**Kings** 87:5  
**Kinsman** 2:16 4:11  
 170:7 176:18  
**Kip** 140:3  
**knave** 8:1 10:8 268:20  
**knife** 118:9,17  
**knowing** 25:20 27:6  
 149:17  
**knowledge** 69:21 70:12  
 85:18 86:2  
**known** 13:11 64:7  
**knows** 170:4 230:5  
 260:4 271:4 301:16  
**Kodiak** 178:10  
**Kotzebue** 3:16 55:15  
 62:18 63:15  
**Kretovic** 2:17 4:12  
 188:16,18,19 190:12  
 210:4 231:9  
**Krusenstern** 63:7  
**kudos** 17:13 318:7  
**Kurt** 108:20

---

**L**

---

**LA** 209:18  
**LA-Long** 131:20 132:5  
 140:4,10  
**lab** 112:1 143:12,19  
 144:22 179:5 192:3  
 194:9 217:17  
**lack** 78:1 278:3,4,9  
**laid** 76:12  
**land** 13:15 32:15  
 152:10 154:21 171:21  
 171:22 176:3 203:16  
 302:12 310:13  
**landing** 137:11  
**lane** 93:18  
**language** 102:10 283:2  
**laptop** 5:20  
**large** 67:8 70:14 71:1  
 93:3 94:4 114:18  
 234:4  
**large-scale** 313:7  
**largely** 87:4  
**larger** 35:13 42:4 44:8  
 197:9 200:16 201:4,7

201:16 202:5 236:22  
 297:2  
**largest** 104:9 115:2  
 185:14  
**Larry** 1:15 2:6 22:8  
 30:10 31:2 41:10  
 136:3 142:11 143:6  
 144:1 155:11 156:21  
 219:16 230:13 239:5  
 241:9 290:5 292:5  
**Larry's** 31:21  
**lastly** 124:5 173:13  
**lasts** 319:11  
**latch** 224:19  
**latched** 194:10  
**late** 20:22 38:14 48:3  
 165:5 169:12 256:18  
**latest** 208:9  
**Laughter** 5:21 10:10  
 12:3 16:10 17:10 28:3  
 29:22 52:12,15 74:10  
 77:21 78:12 86:11  
 100:14 105:1 107:5  
 107:10 109:8 116:9  
 116:20 192:9 210:3  
**launch** 195:10  
**launches** 189:18  
**Laura** 2:19 4:11 176:19  
 176:22 181:22 208:15  
 212:7 213:12 315:22  
**Lautenbacher** 270:20  
 274:2,17  
**Lautenbacher's** 276:13  
**law** 28:16 55:6 65:22  
 87:1 88:3,9 90:4  
 105:5 306:3  
**Lawrence** 68:7  
**Lawson** 167:22  
**lawyers** 258:11  
**lay** 149:5  
**layer** 150:2 151:2  
**layers** 187:17  
**layout** 200:16  
**lead** 62:7 73:5 88:2  
 91:12 93:10,11  
 135:16 169:4 233:5  
 289:3  
**lead-in** 279:3  
**leader** 72:5 282:10  
**leaders** 304:13 315:14  
**leadership** 36:19 56:12  
 62:7 107:4 226:10  
 295:20  
**leading** 22:6 48:6  
**leaning** 119:6  
**learn** 222:17 270:2  
**learned** 8:20 14:14 50:1  
 109:15 118:10 148:3

205:17 224:12  
**learning** 244:3  
**learns** 318:5  
**lease** 59:19  
**leave** 12:10 104:21  
 142:10 188:14 209:5  
 233:7 284:20 314:11  
**leaving** 189:5  
**LeBoeuf** 5:10,11  
**led** 52:20 70:21 224:9  
 297:15  
**left** 28:1 185:11 311:13  
**leg** 186:2  
**legacy** 200:11  
**legal** 88:12 319:2  
**legislation** 169:2  
**legislatures** 263:15  
**legitimate** 54:19 132:20  
**legs** 186:3  
**lessons** 14:13  
**let's** 33:12 80:17 139:7  
 146:18 158:12 187:13  
 187:15 266:15 268:1  
 268:3 282:1 290:1,2  
 303:19 316:3  
**letter** 4:18 157:3 161:12  
 251:1,9 266:18  
 270:15 271:1 274:11  
 276:9 283:3 284:19  
 287:9 288:13 289:3,9  
 289:11 296:3 299:9  
 305:2,20 307:8,18  
 315:15  
**letters** 247:5 250:22  
 273:16 295:11 305:6  
 305:9  
**letting** 24:19 189:22  
 269:17 283:18  
**level** 30:8,9 34:5 91:6  
 97:22 99:4,6 101:21  
 118:15 121:13 125:1  
 125:2 160:4 176:3  
 177:5 186:6,8 187:3,5  
 213:20 238:4,12  
 239:4,9 249:15  
 252:14 253:6 254:18  
 263:16 264:19 266:1  
 266:6,9 272:2,15  
 273:21 275:14 286:1  
 301:14 304:3 305:22  
 308:16 309:1  
**levels** 35:16 120:16  
 121:11 134:9 286:1  
**leverage** 44:16 185:7  
 301:3  
**leveraged** 272:13  
**leveraging** 29:6 41:22  
 59:3 158:17 185:4

**liaison** 108:19  
**liaisons** 55:16  
**lidar** 204:11,12 224:7  
 259:11  
**lies** 186:9  
**Lieutenant** 271:15  
 273:5 286:19 291:6  
**life** 65:12 67:7 89:4  
 92:19 110:9 198:15  
**light** 52:5 163:3 169:1  
 253:7 262:19  
**lights** 106:4  
**likes** 85:22 105:21  
 197:15  
**likewise** 19:22  
**limit** 83:12  
**limited** 70:17 76:21,21  
 98:15 166:12 175:19  
**Lindsay** 1:16 7:1,2  
 133:7 142:12 151:18  
 248:6  
**line** 58:15 81:12 101:1  
 106:19 235:15 240:3  
 281:21 282:13 292:21  
**linear** 185:18 186:6  
**lined** 167:4  
**lines** 58:11 150:21  
 266:11 294:3  
**linger** 235:8  
**list** 23:9 31:20 44:9 98:5  
 101:17 102:22 143:3  
 220:16 221:14 222:12  
 228:3 230:3 233:22  
 235:14 238:4 248:3,6  
 250:18 251:6 257:16  
 267:1 273:5 287:7  
 289:20 290:1,2  
 291:19 293:11,14  
 301:10,11 312:16  
**listen** 132:4 140:10,16  
 170:8  
**listening** 15:8 31:19  
 97:15 100:8 124:18  
 126:2 132:3 140:13  
 140:17  
**listing** 136:13  
**lists** 135:9 218:11  
**literacy** 174:18  
**literally** 238:17 257:13  
**literature** 44:11  
**little** 5:14 8:8 13:3 17:1  
 28:1 37:8 43:10 47:6  
 48:2 60:19 63:22 71:7  
 74:4,8 77:19 85:21  
 86:20,21 88:20 90:6,7  
 91:9 92:21 98:2  
 104:20,21 109:5  
 118:13 139:19 141:20



149:6,6 158:22 160:8  
 162:22 163:1 166:18  
 171:15 174:5 176:11  
 179:11 184:7 186:11  
 187:8 195:9 198:13  
 210:21 220:10 226:14  
 228:13 229:1 235:8  
 244:19 257:3,19  
 258:6 261:21 268:18  
 269:14 270:7 273:5  
 276:1,3 279:4 287:7  
 314:21 318:11  
**live** 13:15 62:11 64:6  
 65:2,9 76:22 88:15,17  
**lived** 62:1 86:18 88:16  
 105:15  
**lively** 198:15 257:14  
**lives** 92:8 231:4 242:22  
 271:18  
**living** 63:17  
**Liz** 188:16,19 191:19  
 209:15  
**LLC** 3:17  
**LNG** 75:11,19 92:17  
 137:12,13,21 138:17  
 139:7  
**load** 78:5 303:11  
**lobbyist** 86:19  
**local** 54:3 64:21 65:16  
 67:19 70:13 97:4 98:2  
 101:9 121:12 156:10  
 239:22 246:14 272:15  
 287:4 296:21 297:1  
 297:17 308:9  
**location** 209:3 216:5  
**locations** 209:8 210:14  
 279:7,14 309:15  
**LOCKHART** 1:18 9:18  
 212:13 226:20 298:12  
 302:15  
**lockstep** 175:16  
**logic** 228:14  
**logistics** 89:1 90:14  
 91:1 97:9  
**logo** 204:1  
**long** 50:7 58:5 88:16  
 101:16 102:22 111:3  
 128:16 189:16 197:17  
 263:22 267:1 308:1  
 319:10  
**long-term** 46:4 237:21  
 238:13  
**longer** 6:14 205:9  
 268:18  
**longterm** 125:1,6,14  
**look** 28:19 44:21 54:5  
 59:22 68:17 77:19  
 85:9 102:19 106:1

113:3 117:13 118:15  
 118:17 127:13 132:16  
 134:6 139:7 142:5  
 144:3 150:21 151:16  
 153:9,11,12 161:20  
 183:15 186:5 187:3  
 195:17 213:6,22  
 214:12,16 217:17  
 222:11 227:14 229:1  
 230:1 237:20 242:14  
 249:9,10,11 250:18  
 251:16,21 253:21  
 254:7 255:17 277:3  
 284:21 296:22 303:10  
 308:8 314:8  
**looked** 6:9 74:20  
 153:18 157:14  
**looking** 11:17 28:1  
 30:11 34:15 35:1  
 52:20 54:8 58:21  
 75:21 76:4 91:17  
 109:5 115:3 117:8  
 139:2 156:16 162:13  
 163:6 178:20 179:3,4  
 187:17 194:7 195:3  
 198:22 203:15 204:19  
 206:13 207:13 211:13  
 211:18 216:3 217:5  
 218:18 227:5 231:12  
 237:6 247:3 250:2  
 255:8 274:9 308:17  
 319:9,14  
**looks** 76:7 101:5  
 105:11,12 132:15  
 235:12 292:18  
**loose** 225:2  
**lose** 83:17 151:10  
 226:17  
**loss** 28:10  
**lost** 167:21 223:10  
 303:13  
**lots** 15:7 32:10,10  
 148:19 172:19 198:6  
 270:11  
**loud** 267:11,13  
**Louisiana** 109:17 110:5  
 306:11  
**Louttit** 140:4  
**love** 9:2 16:14 23:5  
 148:21 154:6 197:5  
 198:5 211:22 228:12  
 250:8 262:11 263:1  
**loved** 15:12 269:15  
**loves** 191:16 197:16  
 318:6  
**lower** 61:6 62:2 105:19  
 131:7 144:4 190:6,17  
 190:22 210:8 212:1

**lowering** 113:14  
**luckily** 268:16  
**lump** 310:7 315:19  
**lumped-in** 314:13  
**lunch** 155:7,8 169:13  
 169:14 192:6 274:8  
 275:22  
**luncheon** 50:17  
**lunchtime** 21:22  
**Lynn** 86:13  
**Lynne** 2:21 126:6  
 203:13 232:18 314:14

## M

**M** 1:16  
**M2M** 246:5  
**Madam** 86:13 122:9  
**magnitude** 27:1  
**main** 91:13 126:11  
 182:16  
**maintain** 59:14 173:11  
 177:18 281:2 284:3  
 285:7  
**maintained** 32:1 196:19  
**maintaining** 182:19  
 280:11 284:6  
**major** 140:9 237:1  
**making** 13:19 28:14  
 29:14 48:1 60:13  
 136:7 145:1,5 172:14  
 173:13 200:7 239:22  
 256:11 298:22 310:18  
 311:5 315:21  
**Malamute** 63:15  
**Mallott** 271:15  
**mammal** 63:21 66:1,14  
 66:16,18 67:9 68:20  
 80:10 84:16 94:5  
**mammals** 69:19 76:22  
 80:17 82:22 90:19,20  
 96:4  
**mammoth** 63:11  
**manage** 55:5 196:17  
 197:3,20  
**management** 3:12  
 29:17 49:11,14 51:20  
 60:5 128:15 272:12  
 272:15  
**manager** 170:10 175:13  
 177:1 189:7,12  
 310:17  
**managing** 68:18 245:17  
**manifested** 201:22  
**manner** 290:3  
**manual** 81:21  
**manually** 128:9,13,20  
 129:6  
**manufacturers** 85:1,2

**map** 27:5 73:19 74:8  
 128:15,18 184:6,19  
 185:1 187:14  
**mapped** 38:9  
**mapping** 14:8,11,15,20  
 21:21 23:1 24:21 26:8  
 26:11 30:20 36:3  
 41:22 46:16,17 99:14  
 122:19 174:19 177:1  
 182:2,4 184:4 204:3  
 217:2 229:8 278:5  
 280:14 294:1,4,13  
**maps** 60:4 73:14,14,17  
 74:2  
**MARACOOS** 297:10  
**MARAD** 102:19  
**March** 41:8 229:5  
**marine** 3:11,13 6:2 8:9  
 9:8,21 10:8 12:1,16  
 12:20,21 16:22 19:7  
 19:22 20:3 21:13,18  
 23:15 24:5 27:12  
 33:15 34:1,15 50:12  
 51:21 60:14,16 62:13  
 63:20 66:1,14,16,18  
 67:9,10,19 68:20  
 69:18 70:8 71:8,22  
 72:2,12 73:2 76:22  
 78:17 79:17 80:9,16  
 81:3 82:21 84:16  
 86:22 88:3,10 89:3  
 90:18,19,20 91:8 92:4  
 94:5 95:19 96:4 100:3  
 100:6 115:9 120:17  
 122:13 127:9 154:3,9  
 155:15,18 156:4,17  
 194:9 198:15 249:12  
 285:19 290:16 292:4  
 292:13 296:18 297:18  
 299:3,19 300:7,14  
 301:19  
**marine-protected**  
 80:18  
**mariner** 131:8 171:2  
 300:18  
**mariners** 9:6 13:19 79:8  
**maritime** 18:5,6 34:21  
 36:12 48:16,17,20  
 49:9,9 51:12,14 62:10  
 62:14,17 67:21 87:2  
 88:7 89:7,10 90:1  
 99:12 116:22 117:2,4  
 117:7,11 137:5 142:5  
 175:20,22 177:15  
 182:19  
**mark** 21:1 108:21  
 128:22  
**market** 50:13 152:20

- 154:20  
**master** 52:7  
**match** 183:20 212:17  
**material** 314:7  
**materials** 87:21 92:14 263:9  
**mates** 79:20  
**matrix** 218:9,16,19 220:12 234:1 235:11 251:7 252:5  
**matter** 48:12 64:15 121:20 162:21 169:21 174:3 223:6 276:20 319:19  
**mature** 42:4  
**Maune** 1:18 14:5,5 218:13 219:18 220:5 220:17 221:4,7,15,17 232:11 235:11 238:3 238:7,10 239:2 241:8 242:2,16,22 243:6 245:8 247:21 257:12 259:2 264:7,22 293:17 294:16,21 312:9  
**Mayer** 2:6 22:8,8 144:13 155:12 193:14 197:10 232:14 290:6 290:8,11,14  
**mayor** 71:9  
**McCannon** 122:8,9 272:5  
**MCD** 199:6  
**McINTYRE** 1:19 10:20 147:2,22  
**McLAUGHLIN** 2:19 4:11 176:19,21,22 208:21 209:9,12 210:15 213:17 215:6 215:9 216:2,12  
**mean** 6:15,18 37:10,11 37:19 45:4 66:3 103:3 131:17 138:2 148:9 148:14 152:9 165:18 210:22 222:5,17 228:12 229:9 235:2 239:18 248:22 253:21 254:22 270:10 305:14  
**meaningful** 188:10  
**meanings** 37:14  
**means** 90:9 92:9 171:22 183:11,13 208:7 211:19  
**measure** 314:2  
**measured** 43:20  
**measurements** 41:22 125:2,3,6  
**measures** 68:18 78:14 78:15,16,20 79:4,22 80:5 83:19 138:5 139:3  
**measuring** 212:9  
**mechanical** 128:2  
**mechanism** 246:9  
**Medicine** 155:17  
**meet** 8:14 21:11 24:9 31:8 68:10 115:18 146:5 174:11 263:5 266:2,12 271:21 306:4 310:9  
**meeting** 1:6 4:18 7:13 8:5 9:10 14:9 20:1,19 20:19 24:20,22 26:11 35:5,15 36:5 40:17 46:12 50:9 93:21 129:13 148:1 155:4 156:13 157:4,20 177:7 188:19 189:6 191:3 203:9 211:8 218:14 225:9,12 229:5,11,17,20 230:9 232:19 233:5,17 240:12 241:5 242:21 243:21 246:14,19 249:7,9 251:2,4 258:11 266:16 267:1 267:18 268:5,6,14,21 270:11 271:1,12 275:2,18 276:5 289:1 289:8,12 293:20 294:20 296:15 298:14 299:2 300:8,13 301:14,18 305:11 306:10,11,11,12 311:17,19 312:8,14 319:10,18  
**meetings** 8:18 39:2 164:11 206:16 224:5 226:14 229:15,21 233:15 234:16 253:22 257:2 272:18 298:19 299:14 310:18 317:4  
**megawatt** 76:11  
**mellow** 71:18  
**members** 1:13 2:1 22:1 96:20 104:4 155:8 157:21 163:18 164:5 218:20 219:2 244:20 248:2 251:8 288:12  
**memories** 204:9 249:8  
**memorized** 40:5  
**mentality** 74:7  
**mention** 17:19 93:20 95:20 123:17 126:21 158:18 179:9 276:21 277:17 278:2,3,20 292:21 299:22 301:13 311:7 312:2,13 315:7  
**mentioned** 11:13 42:20 57:22 103:9 157:19 160:13 193:15 197:10 204:8 209:17 239:8 295:6 301:10 303:12 313:4 316:9  
**mentioning** 60:4 104:19  
**mentor** 72:5 174:17  
**Mercator** 74:7  
**merge** 32:17  
**merging** 32:12 33:19 279:18 298:3  
**merit** 277:17,19 287:14  
**MERSFELDER-LEWIS** 2:21  
**mess** 144:9 295:13 314:11  
**message** 130:4,11,17 130:21 131:1 133:15 133:21 134:10,12 141:5 154:7 263:3,15 264:2 290:20  
**messages** 130:6  
**met** 1:11 39:11 85:13 107:15 108:8 201:15  
**metals** 27:7  
**meteorological** 85:5  
**meter** 179:8,17 190:10 213:14 214:1 215:10  
**meters** 177:20 178:12 179:6,21 180:16 186:14,18 187:2 213:15 281:9,16  
**methodologies** 236:4  
**methods** 73:16 125:12 194:5  
**metric** 202:7  
**Metropolitan** 52:4  
**Mexico** 94:15 186:10  
**Miami** 39:11 188:19 189:6 218:15 220:9 220:11 231:1 234:5 242:14 243:21  
**mic** 214:5 273:14  
**Michael** 3:11 4:5  
**microphone** 12:4 16:9  
**middle** 84:13 102:22 167:4 290:10  
**migration** 69:18  
**Mike** 18:18 21:5 48:21 49:4 50:2 61:17 89:15 107:19 110:20 132:14 133:9 282:7 285:14 287:16 318:2  
**mile** 79:11 281:14  
**miles** 81:15 137:21 138:22 185:12,16,19 186:7,20 314:1  
**milestones** 115:21  
**Miller** 1:12,14 5:3 29:20 30:1 38:12,20 39:6 47:21 108:21 114:6 116:10 119:17 122:1 124:14 126:4 129:21 133:7 134:15 135:13 147:1,20 148:5 151:18 155:2 156:21 165:8 167:12 168:13 168:17 169:6,10 215:21 216:9 228:15 229:19 250:17 273:14 275:12 279:8 282:6 283:9 287:22 306:21 311:14 319:15  
**million** 173:21 186:19 186:20  
**millions** 313:11  
**mind** 27:15 37:1,13 38:4 72:16 163:14 213:2 249:19 254:13 279:12 280:2 302:16  
**mindful** 25:13 26:6  
**minds** 8:16  
**mine** 92:21  
**mineral** 26:20  
**minerals** 26:13 106:3 312:3,5,19,22  
**mini** 174:20  
**minimal** 172:13,15  
**minimize** 172:5  
**minimum** 310:10  
**minor** 319:2  
**minute** 129:5 157:18 188:8 198:9  
**minutes** 99:19 129:19 169:12 170:4 176:8 180:14  
**MISLE** 115:2  
**mispronounce** 5:10  
**misrepresent** 20:21  
**missed** 227:17 269:3 269:21 316:11  
**missing** 220:21 227:11  
**mission** 67:1 162:1 182:21 194:11,18 215:4 255:3  
**missions** 94:20 254:20  
**Mississippi** 167:17 190:7,17,22 194:22 210:8 211:7 231:4,7,7  
**mistakes** 70:11  
**misunderstanding** 262:17

**misused** 90:8  
**mitigating** 138:4 139:3  
**mix** 5:14  
**mobile** 55:9  
**model** 6:22 14:13 23:3  
 23:5 108:2 178:17,21  
 179:1 184:14 196:5  
 196:10 308:9 309:14  
**modeled** 212:21  
**modeling** 25:21 43:8  
 45:11 47:10,10,12  
 160:17 216:13 245:21  
**models** 143:16 160:2  
 160:21  
**moderate** 106:16  
**moderator** 170:5  
**modern** 133:22  
**modernization** 170:10  
 172:3,21 173:17  
 174:9,16,20 175:3,10  
 175:18 176:5  
**modernize** 53:20  
**modernized** 171:8,8  
**modularity** 57:4  
**Molly** 86:18 99:22 122:8  
 209:5,13 272:5  
**moment** 81:13 314:9  
**moments** 136:9  
**momentum** 33:8 61:8  
**Monday** 278:13  
**money** 32:6 98:19  
 100:22 101:8 116:13  
 209:6 260:18 282:18  
 282:22 283:2,15  
**money's** 210:4  
**monitor** 55:5  
**monitoring** 78:19 84:1  
**month** 19:18 41:7 190:8  
 199:14 209:17  
**monthly** 172:22 173:2  
 174:13 219:8  
**months** 39:13,19 40:21  
 76:16 167:19 182:7  
 214:8 243:4  
**monument** 63:7,9  
**morning** 5:4,4,8,12  
 11:10 38:15 63:2  
 108:18 122:2 157:15  
 201:13 230:7 254:12  
 265:18 270:20 274:2  
**mortality** 94:5  
**motion** 176:3 319:1,5  
**Motor** 231:6  
**Mount** 62:4  
**mountains** 38:5 209:1  
**MOUs** 257:5  
**mouth** 109:1  
**mouthful** 297:3

**mouths** 18:16  
**move** 7:17 19:12 20:13  
 20:14 25:6 33:2,3  
 35:2 44:8 80:18 84:5  
 110:7 128:19,21  
 144:11 179:15,18  
 191:9 206:20 222:19  
 240:18 250:14 257:3  
 270:3 279:20 290:3  
 308:3  
**moved** 153:16 289:11  
**moves** 40:8 214:3  
**moving** 7:14 19:20 29:8  
 35:19 60:4 86:16  
 114:1 117:20 128:15  
 128:18 148:17 153:19  
 153:20 184:21 220:4  
 224:2 230:10 242:2  
 269:6  
**MSI** 60:16  
**multi-beam** 190:13  
**multi-mission** 113:11  
**multi-use** 44:1  
**multibeam** 31:8,12  
 41:12 42:10 111:1  
**multiple** 37:14 96:19  
 299:21  
**multipurpose** 44:14  
**municipal** 67:10  
**Murkowski** 85:16 96:9  
 97:17 105:21  
**must-have** 307:20  
**mysterious** 127:5

---

**N**

---

**nail-on** 190:2  
**name** 5:11 52:9 63:2,3  
 167:18 176:22 239:13  
 255:10  
**named** 8:4 29:21 189:6  
**names** 240:22  
**Nanook** 66:20  
**Nathan** 124:14,16  
**nation** 24:6 52:20  
 124:21 125:19 172:7  
 174:2 184:19 208:10  
 235:20  
**nation's** 57:16 308:16  
**national** 1:3 2:3,12,16  
 20:5 29:5,6 34:5 36:9  
 63:7 83:13 94:19  
 101:2 102:13,16  
 103:7 105:12 122:20  
 123:2 125:21 128:8  
 128:17 129:8 152:7  
 155:16,20 156:3,16  
 171:9,11 173:11  
 177:5,7 203:2,6

204:10 222:10 225:3  
 272:9 297:2,16 313:6  
**nationally** 132:16 299:5  
**nations** 79:4  
**native** 61:18,21 70:15  
 110:4 120:2 137:8  
 139:12 286:14  
**natural** 46:14,21 65:3  
 89:20 90:11 272:10  
**nature** 6:3 278:5  
**nautical** 148:17 185:12  
 185:16,19 186:6,20  
 199:9,10,11,22  
 201:17 202:1 251:18  
 253:3 314:1  
**nav** 61:5 128:9,16  
 175:13 189:4,7  
 190:21 191:13 242:8  
 310:17  
**NAVD** 259:15,19  
**navigable** 43:9  
**navigating** 140:17  
**navigation** 25:15 30:15  
 30:17 49:7,17,17  
 51:21 54:19 59:2  
 81:22 82:21 130:3,16  
 150:22 158:19 188:17  
 188:21 189:1,17  
 190:4 191:7,14  
 209:16 225:22 242:6  
 278:13,15,16,21  
 280:1 281:8,21  
**navigational** 199:13  
 242:4  
**navigators** 145:4  
**Navy** 94:21 95:6 102:15  
**NCEP** 160:3  
**NCOP** 177:8,17  
**near** 58:15 160:15  
 204:20 239:4  
**nearest** 78:21  
**nearly** 90:21 201:1  
**nearshore** 43:8 44:14  
**neat** 13:12  
**neatly** 200:17  
**necessarily** 31:8 36:11  
 46:8 47:16,18 111:7  
 150:3 151:3 164:6  
 208:4 220:18 292:21  
 300:21  
**necessary** 98:1 185:2  
 271:21  
**NED** 102:6  
**Neddo** 115:19  
**NEEA** 184:15 204:8  
**needed** 15:4 23:18 24:3  
 43:22 95:10 153:5  
 158:20 171:20 175:9

180:5 190:19 204:16  
 239:8 246:18,18  
 265:13 287:15  
**needing** 188:4  
**needle** 224:2  
**needles** 222:20  
**needs** 8:14 9:10,14  
 31:9 61:4,5 89:8  
 95:12 124:11 127:22  
 134:11 141:18 146:5  
 147:16 171:2 177:16  
 206:18 227:12 255:17  
 261:8 278:22 279:1,6  
 279:12,13,22 280:7  
 282:8 284:3 285:6  
 293:10 300:18  
**Neeraj** 2:22 4:13 191:21  
 199:5  
**negative** 37:2 137:6  
 208:4  
**negatively** 62:16  
**neglected** 38:21  
**neighborhood** 62:16  
**neighbors** 58:10  
**Neil** 239:7  
**network** 20:5,6 104:13  
 151:3 172:1 237:17  
 304:3  
**never** 84:7,10 95:21  
 132:10 228:11 229:22  
 298:18  
**new** 2:2,6 15:8 16:17  
 20:16,20 30:10 32:3,3  
 40:17 46:12 50:17  
 51:9,10,12 53:16 54:7  
 54:7 59:3 60:8 64:10  
 87:2 110:20 112:20  
 113:8 116:3,4 142:5,6  
 170:15,19 175:11,16  
 178:22 191:1,3 200:2  
 200:3,15,21 201:2,3  
 201:16,16,22 202:1,2  
 202:10,11,19 209:17  
 210:1,8 211:1,5 212:2  
 222:6 226:2 227:9  
 230:6 231:12,19  
 236:20 244:20 251:8  
 253:17 256:1 259:16  
 265:17 279:15 282:18  
 284:1 288:11 292:13  
 300:21 306:10 315:17  
**newcomer** 86:17  
**newer** 163:18  
**news** 42:6  
**newsletter** 172:21  
 173:4  
**nexus** 269:16  
**NGO** 105:11

- NGS** 36:13 134:9  
 170:21 171:18 172:17  
 173:15 174:12 176:10  
 176:12,18 195:19  
 196:3 263:9 265:2,5  
 265:12 266:8 280:9  
 284:4  
**NGVD** 259:10,12,15  
**NGVD29** 259:18  
**nice** 10:18 16:8 18:10  
 56:16 84:12 131:12  
 132:9 172:4 269:7  
 286:21 287:3 301:15  
 314:20 316:19  
**nicely** 53:20 276:9  
**niche** 136:19,21 317:20  
**Nick** 315:22  
**nickname** 63:3  
**Nicole** 2:16 4:11 5:9  
 170:6 176:18 258:1  
**night** 18:17 20:22 87:22  
 103:16 104:18 165:6  
 318:2  
**Nikiski** 213:12  
**nimble** 27:16 28:12,15  
 225:16  
**nimbleness** 300:17  
 302:5  
**nine** 178:19 308:5  
**NOAA's** 33:16 95:14  
 98:5 99:1 124:11  
 179:5 201:19 219:21  
 246:4 261:20  
**NOAA-related** 99:20  
**NOAA/University** 2:2,6  
**noise** 114:19 132:4  
**Noll** 135:5  
**noll-to-nall** 190:9  
**Nome** 85:19 94:22  
**nominally** 186:19  
**nominated** 248:3  
**nominating** 319:7  
**non-** 141:11  
**non-authoritative**  
 245:11  
**non-federal** 23:7  
**non-relevant** 132:6  
 141:9  
**non-SOLAS** 153:7  
**NON-VOTING** 2:1  
**nonprofit** 6:7 12:17  
 24:8  
**nonprofits** 249:10  
**NOPP** 29:9  
**normal** 5:13 215:4  
 315:4  
**normally** 234:19 259:8  
**north** 55:14 59:7 68:7  
 91:10 123:3 179:8,15  
 180:1,7 181:1 215:14  
 258:3,7 264:20  
 278:18  
**northern** 54:21 74:17  
 74:21 75:6 76:14  
**northwest** 54:22 59:8  
 94:22 102:7 181:18  
**Norway** 71:19  
**NOS** 2:4,5 4:10 30:16  
 136:21 137:1,3  
 165:20 175:12 217:4  
 222:14 228:18,22  
 229:1 239:20 279:12  
**not-for-profit** 206:8  
**notable** 22:1  
**note** 40:3 123:13,16  
 124:5 229:16 236:12  
 287:8  
**noted** 122:15  
**notes** 5:20 39:8 267:9  
 275:18 278:12  
**nothing's** 166:16  
**notice** 185:13  
**noticed** 23:10 26:14  
 145:12  
**noting** 306:5  
**November** 41:6  
**NSF** 51:6  
**NSRS** 170:10 171:8,17  
 172:2,21 173:17  
 174:8,20 175:3,10,18  
 176:5,13  
**nuclear** 76:8 138:15  
**number** 34:6 35:17  
 41:21 45:4 57:22 98:5  
 143:16 155:22 156:1  
 156:8,9 200:18 212:4  
 212:5 221:13 268:11  
 276:12 281:20 284:2  
 284:15,15,17,22  
 292:16 301:8,17  
 302:21 305:14 307:2  
 307:20 308:5,11  
 311:16,18 312:18  
**numbers** 120:18 185:18  
 187:17 261:7 264:2  
**nutritional** 65:5  
**nuts** 188:22  
**NWLON** 34:18 308:18
- 
- O**
- 
- o'clock** 18:17 169:19  
**Object** 160:16  
**objections** 161:13  
 165:3  
**objective** 108:5 160:7  
**objectives** 166:14  
 194:16 257:2  
**obligation** 163:13  
**obligations** 168:3  
**observation** 17:7 177:5  
 177:8  
**observational** 171:20  
 280:22  
**observations** 125:9  
 147:3 160:12,14  
 177:12 217:5 278:7  
 280:13 304:3  
**observing** 122:12 188:7  
 272:7,19  
**obstacle** 126:11  
**obstacles** 114:10  
**obstruction** 183:17  
**obtain** 178:7  
**obvious** 32:8 293:2  
 309:14  
**obviously** 7:17 9:4  
 16:16 40:12 42:3  
 45:22 118:6 129:10  
 136:9 138:15 139:16  
 139:18 149:21 233:12  
 248:10,13 263:14  
 273:1 308:18  
**occasionally** 215:11  
**occurred** 25:18  
**occurring** 45:20 175:15  
**occurs** 96:6  
**ocean** 2:13 15:22 29:5  
 99:20 122:12 155:14  
 182:4 204:2,13  
 222:10 227:15 271:17  
 271:17 272:6 305:16  
 305:17  
**ocean's** 152:4  
**OCEANIC** 1:3  
**Oceanographic** 2:5,15  
 2:20 29:6  
**Oceans** 2:9,10  
**OCS** 182:2 188:17  
 191:21 199:6 203:1  
 266:8  
**October** 25:10 58:18  
 68:10 114:1  
**off-** 149:18 150:5  
**off-limits** 105:13 106:1  
**off-station** 128:10  
 150:5,19  
**offended** 162:8  
**offer** 48:15,21  
**offers** 231:14  
**office** 2:11,13,14,15,17  
 2:22 40:12 51:10 94:8  
 97:1 149:1 192:5,13  
 255:20 310:21  
**officers** 87:13  
**offices** 165:21 189:9  
 235:15,19 306:14  
**official** 2:11 170:15  
 192:4 263:13  
**officials** 25:19 58:8  
**offline** 240:11 256:15  
**offshore** 23:4,13 26:16  
 27:4 59:17 89:21  
 91:22 93:4,5 152:14  
 152:15 175:19 183:2  
 204:20 208:19 209:2  
**OFS** 178:22  
**oil** 67:12 76:20 77:7,10  
 77:11,13 78:1 90:2  
 93:5 94:3 95:22 96:6  
 96:14 106:3 109:20  
 110:10 113:6 123:5,7  
 123:8 137:10,19,20  
 138:6,8,10,21 139:5,8  
 178:8 255:1  
**oils** 75:21  
**OMAO** 228:21  
**OMB** 205:8,10  
**on-** 89:20  
**on-scene** 118:12  
**on-station** 149:20  
**on-the-ground** 310:19  
**on-time** 121:18  
**onboard** 78:3  
**once** 34:17 63:11  
 158:16 159:7,22  
 160:16 161:19 185:2  
 230:11,11 256:4  
 266:6 277:10 279:9  
 284:20  
**one-day** 156:5  
**one-pager** 262:16  
**one-pagers** 262:18  
**one-person** 86:7  
**one-third** 186:22 187:1  
**one-yard** 282:13  
**ones** 165:6 181:15  
 206:3 236:15 281:12  
 287:5 303:12 314:13  
**ongoing** 280:14  
**online** 97:5  
**onshore** 26:16 92:20  
**onsite** 94:17  
**OP** 162:4  
**OPA** 138:6  
**open** 54:13 106:18  
 285:9  
**opens** 34:18  
**operate** 53:6 55:14  
 304:9  
**operating** 54:20 68:11  
 80:8 91:22 95:11  
 117:11 138:8,15

152:15 286:11  
**operation** 12:9 77:10  
 77:14 189:16 193:3  
 285:4  
**operational** 2:5,14,19  
 72:21 115:2 116:5  
 179:1 194:5  
**operations** 48:18,20  
 55:14 73:8 74:21 75:2  
 75:5 76:15,17 81:21  
 95:15,16 99:12 100:4  
 139:13 189:20  
**operator** 153:11  
**operators** 67:11 69:22  
**operators'** 69:21  
**opinion** 280:16  
**Oppenheimer** 79:20  
**opportunities** 19:12  
 20:20 50:15 59:3,22  
 66:5 121:9 202:3  
 270:12 272:21  
**opportunity** 11:15 19:6  
 19:11 27:8 64:12  
 66:10 78:21 99:3  
 119:1 170:8 198:6  
 216:20 269:22 282:11  
 286:10 310:12  
**oppose** 66:3  
**opposed** 250:2  
**opposite** 172:9  
**optic** 81:5,7,15  
**optimistically** 313:16  
**options** 75:16  
**orbit** 61:6  
**order** 11:8 26:13 31:19  
 88:17 180:5 187:19  
 188:4 312:4,19 313:1  
**orderly** 290:3  
**orders** 27:1  
**organization** 6:9 27:16  
 28:14 33:17,18 42:2  
 68:4 303:8 304:17  
 318:4  
**organizations** 12:17  
 44:7 81:19 97:3 277:9  
 297:6,17  
**organize** 41:5  
**organized** 115:16  
**oriented** 138:6  
**original** 34:20 220:11  
**originally** 32:6 179:12  
 200:13  
**Orleans** 212:2 231:13  
 231:19 315:17  
**ought** 25:13 287:8  
**outboards** 64:10  
**outcomes** 66:11  
**outcrops** 46:18

**outfitted** 195:22 196:20  
 217:14  
**outfitting** 195:12  
**outline** 156:6 182:15  
 277:4  
**outreach** 172:18 175:8  
 176:9 262:19  
**outside** 40:11 96:10  
 99:4 162:13 183:9,9  
 213:20,22 241:5  
**ovation** 287:12  
**overall** 169:18  
**overcome** 6:12 19:14  
**overlap** 254:20 270:12  
**overlaps** 41:19  
**overlay** 131:10  
**overlying** 211:16  
**overlays** 131:9  
**overload** 132:10 141:8  
 144:4 147:4  
**overlook** 121:8  
**overview** 121:8 176:8  
 258:17  
**overwhelming** 49:15  
**owner** 83:13,14

## P

**P-R-O-C-E-E-D-I-N-G-S**  
 5:1  
**p.m** 169:22 170:1  
 319:20  
**PA** 183:16  
**Pacific** 26:21 194:9  
**package** 16:2 257:11  
**packet** 207:17 208:8  
**page** 1:19 13:11 17:6  
 17:11,18 18:1 21:4  
 48:5,8 50:5 61:16  
 71:3 85:12 106:15  
 107:6,9 116:19,21  
 131:16 135:20 142:19  
 143:1 145:10 148:14  
 148:16 157:17,18  
 161:3,14,18 163:9  
 222:4 223:10,14,17  
 224:3,10,15 228:16  
 246:5 250:16 276:16  
 288:19 290:19 291:15  
 291:21 292:17 293:9  
 315:7 316:17  
**pages** 17:22 157:16  
 159:14  
**painful** 288:15 318:20  
**painstaking** 101:4  
**panel** 1:4,11 5:6 11:6  
 21:10 22:2,4,6 30:8  
 31:14 40:4 41:16 48:3  
 48:4,9 86:14 89:22

106:17,18 114:8  
 121:7 122:3,5 142:14  
 142:17 161:11 163:4  
 163:18 164:5,14,14  
 165:10 167:9 168:1,5  
 168:21 176:6 184:13  
 208:14 218:3,7,9  
 223:12,21 224:8  
 227:1,21 231:14  
 233:11 234:19 240:5  
 245:3 247:15 250:6,9  
 251:8 255:11 256:2  
 270:2,6 271:14 272:9  
 273:21 275:14 286:14  
 288:11 291:14 293:3  
 293:8 304:12 305:4  
 306:10 318:8  
**panelists** 126:6 135:10  
 135:14 253:21 316:6  
**panelists'** 226:11  
**panels** 30:5 31:15  
 98:12 272:20 316:2,4  
**paper** 18:2 26:19 63:8  
 133:13 134:3 142:8  
 153:5 168:10 199:10  
 199:21 200:12 201:12  
 201:17 202:1 219:12  
 220:6,19,20 225:22  
 226:8 232:17,18  
 233:6 240:3 241:16  
 242:8 244:3,6 245:2  
 246:17 251:9,16  
 252:1,4 253:12,14  
 254:4 256:19,22  
 258:16,19 261:4,8,19  
 262:16 266:2,4,6,17  
 284:18 308:14  
**papers** 168:15,19  
 218:18 219:5 221:2  
 221:22 222:1 223:4,5  
 225:20 228:20 234:17  
 244:5 246:3 248:9  
 250:2,21 251:16  
 254:9 257:17 258:7  
 261:12 265:20  
**paragraph** 271:9 273:2  
 277:18 288:15  
**parallels** 41:19  
**pardon** 26:2  
**park** 63:8 83:13,16  
 105:12 175:1  
**part** 19:9 22:5 35:6  
 43:16 58:1 63:14 65:3  
 65:10 70:14,16 79:15  
 80:16 112:9 133:15  
 136:3,5 141:14  
 189:16 206:22 210:6  
 215:4 217:10,15

224:18,18 225:5  
 234:14 258:22 269:17  
 280:5 298:3 309:3  
 311:10  
**participate** 64:13 239:6  
**participating** 241:1  
**participation** 33:16  
**particular** 31:19 46:15  
 88:18 119:14 132:19  
 135:3 139:22 156:3  
 159:19 166:9 219:7  
 221:1 230:2,18 236:8  
 236:11 237:16 249:13  
 253:4 267:1  
**particularly** 30:19 46:6  
 90:2,16 92:15 98:8  
 158:2 160:19 169:1  
 187:21 216:18 229:10  
 279:13 313:7  
**parties** 135:21 222:7  
**partner** 29:3 179:4  
 213:22 215:10  
**partnering** 203:21  
 211:15 213:19  
**partners** 36:14,22  
 55:18 173:8 211:14  
 213:20 214:1  
**partnership** 9:11 29:6  
 107:21 108:7,17  
 109:4,12 111:13  
 122:13 231:2 232:12  
 245:19 249:11 253:15  
 254:7 255:4,21  
 268:13 292:10 295:8  
 295:17 301:4 303:10  
**partnerships** 20:9 29:2  
 30:22 54:2 158:6,9,11  
 158:16 159:8 160:1  
 242:12 243:10 248:21  
 249:3 253:10 272:2  
 290:22 301:3  
**parts** 82:14 104:2  
**party** 50:10  
**pas** 287:7  
**pass** 172:3 178:13  
 179:9,15 180:1,7  
 181:2,16 190:14  
 215:14  
**Passage** 54:22 59:8  
**passed** 167:19 319:5  
**passenger** 138:12  
 199:14  
**passengers** 104:8  
**Passes** 181:7  
**passports** 54:15  
**path** 20:8 39:20 43:15  
 102:8 297:11  
**patterns** 76:18

**Paul** 3:13 71:4,5,9  
 72:13 85:12 100:12  
 103:9 117:14 126:10  
**paving** 196:3  
**pay** 18:4 57:12 60:22  
 89:17 111:11,12  
 222:17  
**peeling** 187:16  
**peer-reviewed** 26:18  
**pen** 186:17  
**pencil** 101:12  
**Pentagon** 102:18  
**people's** 18:15 32:22  
**peoples** 89:8 110:5  
**Peratovich** 1:11  
**perceive** 143:17  
**percent** 27:6 28:19  
 77:13 185:15 186:8,9  
 187:5 237:12 314:1  
 317:15  
**percentage** 77:11  
**percentages** 98:9  
**perceptions** 162:6  
**perfect** 50:9 97:11  
 276:11 300:4  
**perform** 127:17  
**performance** 158:1  
**period** 171:16  
**periodic** 11:15 221:19  
**permanent** 82:13  
**permission** 82:19  
**permissions** 82:12  
 84:15 126:16,16,19  
**Permitting** 97:9  
**perpetual** 235:15  
**person** 168:11 170:14  
 191:15 218:21 260:17  
 298:16  
**personal** 114:10  
**personality** 146:3  
**personally** 32:19 50:6  
 70:19 108:22 168:13  
 230:9 297:9 315:2  
**perspective** 24:10  
 27:11 49:4 62:21,22  
 87:19 162:5,11,15  
 164:15 168:12 257:20  
 279:18 286:16,17  
 293:4 305:3 308:17  
**perspectives** 48:13,15  
 136:14,14  
**pertained** 160:17  
**pertains** 46:7 158:3  
**Peter** 79:20  
**Ph.D** 2:9  
**phase** 113:11 205:15  
 206:11,13,19,22  
 207:1 275:8

**phenomenal** 318:4  
**phone** 116:7 145:18  
**phones** 146:11  
**phonetic** 63:3  
**phrase** 105:20  
**physical** 43:19 83:2  
 87:20 95:3,7  
**pick** 33:8 141:19 215:16  
**picked** 12:8  
**picture** 44:4 46:22 74:5  
 113:5  
**piece** 26:5 114:14,14  
 115:15 128:2,4,5  
 198:17 227:11  
**pieces** 271:10  
**Pier** 178:9  
**pike** 86:3  
**pilot** 19:17 31:12 39:22  
 40:5 49:6,6,17 69:2,9  
 69:22 84:7 123:21  
 124:4 139:17,21  
 140:10 146:15 148:6  
 148:7 151:9  
**pilots** 67:11 130:6  
 145:4,13,15 147:14  
 180:5,10  
**ping** 286:5  
**pink** 206:11 208:1,3  
**PJs** 113:16  
**place** 27:19 50:8 59:9  
 74:16 78:17 137:22  
 145:9 151:8 190:20  
 224:22 233:9 242:3  
 280:8 291:17 301:15  
**placed** 306:7  
**places** 34:8 38:3 59:11  
 104:17 120:19 175:17  
 236:1 263:20 303:5  
**placing** 159:4  
**plan** 68:13 69:12 70:10  
 151:11 157:2,11  
 159:5,10,14 166:8  
 167:2,7 179:7 182:2  
 187:14,14 200:8  
 201:18,21 259:5  
 286:11 308:4 313:6  
**plane** 31:13 85:14  
 170:19 174:15  
**planned** 39:12 40:20  
 110:21 195:14  
**planning** 4:10 25:21  
 58:21 59:9,16,21 80:3  
 82:2 91:2 123:10,12  
 151:11 160:21 167:5  
 170:9 237:21 246:9  
 272:18  
**plans** 72:2 201:16  
**platforms** 43:18 188:6

**platinum** 99:11  
**play** 20:4 48:18 53:20  
 53:22 56:16 79:14,15  
 138:12 164:5  
**player** 18:9 68:16  
**playing** 116:6  
**please** 39:11 41:16 50:2  
 56:17 57:20 62:21  
 64:18 66:12 72:13  
 86:4 262:17  
**pleased** 14:18 20:11  
 22:5 35:4 287:9  
 289:17 303:16  
**pleasure** 45:2 268:17  
**plenty** 263:20  
**plowing** 140:20  
**plus** 33:4  
**PMEL** 194:9  
**poignant** 279:5  
**point** 12:7 18:15 21:22  
 26:10 44:5 73:2 84:22  
 87:5 116:2 154:15,16  
 181:10 182:9 184:14  
 187:19 216:4 220:8  
 220:20 223:19 226:1  
 226:5 232:16 238:14  
 243:12 261:17 262:5  
 269:6 270:16 275:6  
 295:14 302:20 312:2  
 316:18  
**pointed** 33:10 77:3  
 83:20 289:7  
**pointer** 80:12  
**pointing** 105:19  
**points** 120:13 127:8  
 145:11 194:14 266:16  
 267:5 305:9  
**polar** 55:1 81:20,21  
 94:13 103:11 113:2  
 155:15  
**Polar-class** 103:6  
**police** 52:5  
**policies** 170:20  
**policy** 2:12,12 29:5  
 88:10 91:2,3 96:19  
 97:11 100:20 281:16  
 309:11  
**policy-wise** 60:10  
**pollock** 91:15  
**polluting** 75:18  
**pollution** 77:17  
**poor** 284:10  
**population** 119:22  
 120:2,9 258:18  
**port** 60:21 61:4 85:19  
 93:1,1 100:10 103:10  
 190:5  
**port's** 209:21

**portion** 181:18 183:2  
 184:9 256:20 277:18  
**portions** 306:13  
**ports** 8:18,19 9:3 11:9  
 18:20 34:5,17 59:5  
 60:15 98:3 100:21  
 102:7,20 115:5  
 124:21 125:5,8  
 131:13 147:14 158:3  
 182:22 191:6 209:19  
 211:14 214:11 236:14  
 237:2,7,8,13 242:6  
 249:2  
**Portsmouth** 203:8  
**position** 41:9 128:22  
 133:13 134:3 142:8  
 183:15,17 216:4  
 220:3 221:2 239:11  
 262:4 319:7  
**positions** 128:9 172:7  
**positive** 17:16  
**possibilities** 197:11  
**possible** 70:17 172:13  
 193:3 207:4 217:13  
 217:19,20 264:3  
**Post** 241:21  
**post-processing** 217:8  
**potential** 26:15,20 27:3  
 39:13 59:18 89:20  
 218:18 219:5 222:1  
 272:20 275:9 296:17  
 297:8 308:6  
**potentially** 30:21 31:14  
 102:19 214:10 217:7  
 274:22  
**power** 40:14 94:11  
 104:14 112:2 186:10  
 186:17  
**powerful** 73:17  
**PPUs** 145:1  
**practice** 62:13  
**practices** 44:13 64:10  
 64:19 67:19 68:17  
 79:18,19 80:1 82:1  
 127:1,1  
**praise** 270:4  
**precision** 158:19  
 188:17,21,22 189:3,7  
 189:17 190:4,21  
 191:7,14 209:16  
 225:22 242:6,8  
**predict** 46:4  
**prediction** 26:4 47:7,7  
 178:8 272:14  
**predictions** 177:13,22  
 179:8 214:9 216:7,14  
**preliminary** 142:9  
**premature** 136:11

291:4  
**preparation** 123:11  
**prepare** 219:12 260:6  
**prepared** 96:16 175:5  
 176:14 277:7  
**preparedness** 173:17  
 174:9  
**preparing** 256:5  
**presence** 53:11,12,13  
 55:9 57:17 59:14 95:3  
 95:7,9 104:16 173:11  
 267:22 291:9  
**present** 1:13 2:8 3:9  
 14:10 55:7 146:4  
 147:17 162:7 269:1  
**presentation** 15:12  
 21:21 22:10 23:1  
 31:21 32:15 39:19  
 40:1,9 162:1 219:21  
 224:6  
**presentations** 255:19  
 272:3  
**presented** 136:8  
**presenters** 136:15  
**presents** 23:3  
**president** 3:13,17 71:21  
 86:6 108:12  
**President's** 26:12  
**presiding** 1:12  
**pressure** 125:13 233:3  
**pretty** 17:20 21:1 42:5  
 47:9 64:6 71:16 76:7  
 96:16 105:18,22  
 112:11 119:21 136:22  
 159:17 180:7 190:16  
 193:8 195:5 259:9  
 286:21 298:15 317:6  
**prevention** 57:21 76:19  
 77:17 78:16 79:3  
 115:19  
**previous** 112:3 153:17  
 167:16 233:14  
**previously** 120:1 157:5  
 180:20  
**primarily** 183:1 237:10  
**primary** 57:16 199:22  
 251:17 252:16 288:21  
 305:9  
**Prime** 92:11  
**Prince** 178:5  
**principal** 177:17 199:9  
**principle** 90:8  
**print** 202:15  
**print-on-demand**  
 148:22  
**printer** 149:1  
**Prior** 86:16  
**priorities** 4:8,20 108:1

116:4 159:8 166:11  
 184:12 218:15,21  
 225:3,9,15  
**prioritization** 95:2  
**prioritize** 122:19 283:1  
 307:11  
**prioritized** 116:5  
 283:12,20  
**prioritizing** 29:14 31:2  
 98:15 293:22 294:4  
 294:12  
**priority** 25:9 98:6  
 107:22 108:4 115:17  
 124:11,12 129:12,14  
 166:15,16,17 184:19  
 218:9,19 220:9,12  
 223:7 230:3 250:18  
 251:5 306:6  
**pristine** 90:14,18  
**private** 24:8 29:3 99:2  
 158:4 173:7 175:1  
 206:8 232:12 242:12  
 243:10 248:21 249:3  
 249:10 290:21  
**privilege** 319:8  
**privileged** 229:20  
**proactive** 97:21 119:7  
**probability** 131:10  
**probably** 8:10 18:14  
 24:2 39:15 41:7 50:14  
 55:10 61:1 75:8 114:3  
 121:19 126:14 130:22  
 139:1 140:14 148:21  
 155:3 157:16 165:14  
 172:18 175:19 182:6  
 193:9 205:12 209:1  
 213:17 216:13 222:11  
 238:2 256:3,14 287:8  
 289:16 291:1 292:14  
 297:5 313:9 316:11  
**problem** 22:20 96:7  
 138:10 225:19 227:7  
 227:7,10,18 230:17  
 237:18 265:4 271:3  
 298:18 299:10  
**problematic** 71:14  
 74:18  
**problems** 78:20 94:18  
 135:2 260:10 297:20  
 299:14  
**procedures** 170:21  
**proceed** 96:1  
**process** 40:10 67:17  
 70:21 79:18 81:2 97:5  
 101:5 102:6 111:3  
 127:13 147:5 163:13  
 169:3 189:22 190:15  
 190:17 195:7 270:1

316:2  
**processed** 91:19  
 211:10  
**processes** 317:12  
**processing** 91:19  
 227:12,15  
**procurement** 195:7  
**produce** 233:6  
**produced** 32:7 159:10  
 200:4  
**producing** 101:20  
 225:19,20  
**product** 91:18 92:1,22  
 152:2 177:17 200:1,9  
 202:13 205:10  
**production** 74:16 75:12  
 196:7  
**productive** 18:14 19:21  
 168:4  
**products** 2:5,15,20  
 20:13 41:13 42:12  
 45:8 60:13 62:14  
 154:8 158:14 199:9  
 202:11 211:4,4,11  
 310:11  
**professional** 147:5  
 173:12 258:8  
**profile** 208:18  
**profitability** 51:16  
**profound** 86:1 135:21  
**program** 19:17 29:7  
 136:22 165:20 173:16  
 173:21 177:1,3,6,8,17  
 189:6 190:4 191:10  
 191:17 204:4 207:1  
 272:19  
**program's** 177:13  
**programs** 21:12 272:7  
**progress** 48:2 182:10  
 207:15 210:17 229:6  
 233:1  
**progressive** 259:9,20  
**project** 58:6 102:9  
 122:20 123:1 128:14  
 168:20 189:17 190:21  
 191:4 195:13 202:17  
 203:20 297:2  
**projected** 13:9 120:16  
**projects** 34:9,11 61:13  
 122:11 123:13 169:17  
 169:17 190:6 193:21  
 209:20  
**proliferate** 115:14  
**prominently** 158:5  
**promote** 174:8  
**promoting** 245:10  
**proper** 179:18  
**properly** 106:10

**property** 196:18  
**proposals** 113:21  
 123:21  
**proposed** 201:17  
**protect** 66:2  
**Protected** 94:8  
**protecting** 64:1 65:20  
 72:11 79:17 81:5  
**protection** 48:17 62:15  
 66:1 69:15 80:7 95:18  
**protocol** 84:20,22  
**prototype** 53:9  
**prototyping** 192:14  
**proud** 72:17 190:11  
**provide** 65:5 68:22 69:5  
 69:6 83:5 120:15  
 124:10 142:8 154:8  
 157:13 175:8 176:2  
 182:11 196:21 207:8  
 222:9,14,22 229:15  
 261:4 263:7,8 310:14  
**provided** 82:6  
**providers** 193:19  
**provides** 20:20 36:14  
 137:3 153:14  
**providing** 67:2 69:9,11  
 100:1 154:3,4 164:7  
 202:3 207:4 228:17  
 290:20  
**provocative** 105:4  
**psychologist** 143:20  
**psychology** 144:7  
**public** 1:6 4:7,19 12:9  
 40:11 60:13 113:20  
 122:3,5 134:12 161:4  
 161:8,8,22 166:21  
 171:16 173:7,10  
 182:14 205:11 232:12  
 242:12 243:10 249:10  
 261:14 262:1 296:4  
 298:22 313:18  
**public-** 248:21 249:2  
**public-private** 20:8  
 29:2 303:10  
**public/private** 111:13  
**publication** 69:1  
**published** 26:20  
**Puget** 81:10  
**pull** 81:14 172:8 306:12  
**pulled** 146:21 247:7  
**pulling** 140:9  
**pumped** 87:22  
**punches** 146:21  
**punk** 87:10  
**purpose** 26:3 67:16  
 220:11  
**purposes** 216:13 234:9  
**pursue** 221:8 223:1

**purview** 228:1  
**push** 11:8 20:4 21:14  
 21:14 131:5 227:12  
 256:12 282:8,12  
**push-back** 111:6  
**pushbutton** 227:16  
**pushed** 115:18  
**pushing** 11:4 16:18  
 96:11 126:11 145:12  
 282:5  
**put** 13:13 18:15 19:8  
 21:10 31:6,12 44:6  
 52:3,17 58:10,20  
 75:17 80:5 82:5 83:2  
 98:20 100:1 107:17  
 109:10 114:20 115:9  
 115:20 128:20,22  
 129:1,19 151:8  
 156:22 157:1 159:18  
 164:19,21 167:6  
 179:21 218:8 222:1  
 224:14 228:20 230:3  
 250:21 251:7 254:6  
 256:11 262:15 268:3  
 268:12 270:8 273:16  
 274:20 276:8 279:3  
 280:8 281:3,21  
 283:17 284:22 286:15  
 301:11 307:8,9  
 308:13 309:10 312:22  
**puts** 61:14 84:20  
**putting** 55:22 73:5  
 79:22 112:6 129:6  
 141:2 165:19 208:16  
 209:10 227:6 238:19  
 240:4 263:1 275:17  
 316:2

---

**Q**


---

**quality** 200:8 252:12,19  
 293:8  
**quantifiable** 101:7  
**quantification** 235:22  
**quantifies** 236:2  
**quantify** 235:18  
**quantitative** 309:3  
**quarterly** 172:20  
**quasi-recommendati...**  
 273:19  
**question** 19:18 23:16  
 44:3 110:19 112:20  
 112:21 119:16,18  
 120:21 122:8 124:15  
 124:18 126:10 159:11  
 159:17 167:22 207:12  
 210:7 212:7 213:18  
 216:20 243:2,7  
 244:16 268:15 304:12

306:21  
**questionnaire** 205:12  
**questions** 43:2 45:1  
 47:16 106:16,18  
 109:13 122:4 126:6  
 158:2 170:11,12  
 173:1 174:5,10 190:2  
 203:3 206:14 208:13  
 214:21 217:21 311:6  
**queue** 210:9  
**queuing** 38:19,21  
**quick** 20:7 42:7 44:21  
 120:10 204:7 207:20  
 220:7 275:20 285:12  
 287:19 315:15  
**quickly** 42:13 51:3 94:9  
 114:2 131:17 161:5  
 189:7 191:9 220:4  
 227:10 228:5 317:6  
**Quintillion** 104:12  
**quite** 36:15 38:6 47:5  
 89:21 91:9 108:10  
 131:3 146:15 158:7  
 175:21 179:19 181:8  
 212:22 225:20 248:22  
 286:13 292:1 302:12  
**quotation** 298:1  
**quote** 15:17 95:5 279:4  
 312:20,21  
**quotes** 148:19

---

**R**


---

**R&D** 57:7 59:22  
**R&R** 104:21  
**Rada** 126:9  
**radar** 83:10 111:18  
 131:10 208:16,22  
 209:6  
**radio** 128:6 132:3,4  
**radios** 147:7  
**railways** 133:20  
**rain** 318:16  
**Rainier** 189:19 215:15  
**raise** 137:17  
**raised** 139:10,10  
 143:21 156:15 248:11  
**ramifications** 291:12  
**ramped** 93:22  
**rang** 15:19  
**range** 136:14  
**rank** 246:18  
**rankings** 246:20  
**rapid** 170:3  
**rapidly** 233:20  
**rare** 27:7  
**RAs** 12:15,16 13:2  
 309:11  
**raster** 199:11 200:5  
 202:13  
**ratchets** 103:11  
**ratio** 101:11  
**RDML** 17:5 24:18 27:10  
 28:4,17,21,22 47:4  
 106:22 107:7,11  
 109:9 135:6 238:18  
 283:14 313:3  
**re-broadcasting** 11:3  
**reach** 13:3 67:18 180:3  
 180:20,21 206:10  
**reached** 192:22  
**read** 26:18 39:8 135:5  
 146:7 149:8 157:18  
 158:20 253:12 261:3  
 264:21 271:9  
**reading** 117:1 296:8  
**ready** 34:6 53:18 124:4  
 219:11  
**real** 16:15 25:21 26:14  
 26:14 32:8 40:13 75:3  
 82:20 89:4 103:3  
 104:6 116:16 131:17  
 144:6 154:14 224:5  
 275:20 285:12 291:12  
 315:4  
**real-** 69:13  
**real-time** 11:4 42:11  
 43:17 45:10 70:1  
 100:2 115:5 299:21  
 302:11  
**realistic** 159:20 188:9  
**realistically** 160:13  
**reality** 146:1 149:10  
**realize** 12:7 29:12 162:4  
 233:18 268:19 317:10  
**realized** 12:1 187:18  
**realizing** 133:3  
**really--** 119:9  
**realm** 45:5  
**Rear** 2:9,11,19 4:11  
 167:15 176:22 285:15  
**reason** 141:14 229:9  
 234:14 287:15 299:17  
**reasons** 106:6 226:16  
 309:14  
**recall** 143:3  
**Recap** 4:2,17  
**receive** 84:21 85:1,5  
 276:12  
**received** 169:9 180:3  
 219:1 274:4  
**receiving** 131:14  
**reception** 103:10  
**reckless** 317:14  
**recognition** 18:11  
 22:20 268:4  
**recognize** 173:17 270:6

285:14 287:1,3 295:2  
 296:14 315:18  
**recognized** 287:17  
 308:21  
**recognizes** 295:2  
**recognizing** 286:19  
**recommend** 264:9  
 279:9 302:5 303:20  
**recommendation** 4:18  
 85:3 228:21 247:11  
 251:4,10 275:13  
 282:17 283:4 300:1  
 307:10 308:7 309:19  
**recommendations**  
 129:20 243:10 247:8  
 250:21 251:1 255:18  
 262:7 282:19 288:21  
 299:8 305:7  
**recommended** 58:11  
 265:5  
**recompilation** 201:3  
**recompiled** 202:6  
**reconvene** 169:20  
**record** 107:18 109:10  
 121:21 169:22 238:14  
 319:20  
**recover** 109:22  
**recovery** 109:20  
**recreational** 171:2  
 258:14  
**red** 18:16 92:21 301:6  
 318:14  
**redesigned** 180:15  
**redlining** 307:14  
**redo** 243:3  
**reduce** 125:15  
**reduced** 200:19  
**reduces** 100:4  
**reducing** 108:2 183:4  
**reduction** 237:11,12  
**Reed** 124:8  
**reefs** 46:18  
**refer** 40:6  
**reference** 125:22 171:9  
 171:12 176:2 179:16  
**referenced** 180:7  
**referencing** 312:15  
**referring** 37:12 284:5  
**reflected** 313:4  
**reflects** 7:4  
**refresh** 249:8  
**refresher** 233:17  
**refugees** 110:7  
**regard** 8:2,13  
**regarding** 111:10  
 133:11 197:13 252:10  
**regime** 79:12  
**regimes** 88:12



**region** 61:21 63:16 66:6  
91:11 92:2 122:22  
139:14 170:13 181:11  
181:15 208:22 291:10  
**regional** 92:3 97:4  
101:18 104:10 132:18  
158:5 160:2,4 173:16  
174:1 297:7,10  
306:16 308:15 310:17  
**regional-specific** 174:4  
**regionally** 306:15  
**regular** 83:22 104:1  
149:9 200:16 226:11  
230:16 299:5  
**regularly** 302:10  
**regulation** 73:4 138:12  
139:3  
**regulations** 79:6,10  
137:18,22  
**regulatory** 67:4 84:3  
87:19  
**reinvigorate** 29:9  
**reiterate** 10:20 32:12  
232:15  
**related** 13:17 67:5  
109:20 151:21 214:21  
216:21 221:2 234:6  
279:22  
**relates** 36:20 143:5  
238:12  
**relating** 302:9  
**relation** 269:8,9  
**relationship** 11:8 16:4  
50:12,20 56:1 61:11  
71:7 124:12 231:21  
235:10 251:21 256:16  
272:11 276:21 277:4  
277:12  
**relationships** 56:14  
71:18 254:16  
**relative** 41:13,20 42:17  
219:22 238:4,12  
239:3,9 249:15 261:2  
266:22  
**relatively** 90:14 94:16  
296:16  
**release** 205:16,19  
**released** 173:9,19  
205:11  
**releasing** 205:17  
**relevance** 137:1  
**relevant** 16:3 18:3  
112:16,16 139:21  
141:12,13,16,20  
146:16 247:12 310:9  
**reliable** 171:10  
**relies** 69:21  
**reluctant** 73:4

**rely** 70:4 99:8  
**relying** 284:10  
**remain** 65:17  
**remaining** 58:14  
**remarks** 5:9  
**remember** 130:16  
142:13,15 228:22  
254:12 264:17 275:1  
305:5  
**remembering** 307:5  
**remind** 281:3 289:16  
**reminded** 231:9 300:12  
**reminder** 204:8 205:1  
**reminders** 284:12,17  
**remote** 55:17 58:7 92:5  
101:15 104:3 215:2  
229:13 279:7,13  
301:21 304:7,15,17  
**removed** 113:3  
**REMUS** 193:7  
**renewable** 92:17  
**renewed** 51:11  
**repair** 81:14  
**repeat** 7:3 299:15  
**repetitive** 9:19 89:11  
163:1  
**replace** 75:17 151:3  
**replacement** 115:1  
**replacing** 197:18  
**replenish** 17:12 103:20  
**report** 19:2 83:12  
101:22 118:2 141:3  
187:11 206:22 229:6  
**report's** 19:1  
**reporting** 120:13  
**reports** 11:14 237:11  
**representation** 39:1  
**representative** 156:13  
**representatives** 62:10  
68:2 96:22 156:7  
**represented** 297:5  
**representing** 297:4  
**represents** 73:8 75:16  
**reputation** 56:3  
**request** 66:15 120:12  
230:2  
**requests** 40:22 51:6  
**require** 201:3 292:1  
**required** 140:11 199:17  
**requirement** 138:3  
199:21  
**requirements** 59:2 85:4  
111:4,8 112:4 116:5  
138:2 152:8 153:2  
189:11 191:3 196:22  
198:19 203:2,6,15,17  
204:21,22 279:22  
280:6,17 310:10

**requires** 128:3,4 171:18  
211:17 310:19  
**reranked** 246:21  
**rescheme** 200:8 201:19  
**reschemed** 201:10  
**rescheming** 199:6  
202:15  
**rescue** 55:6 113:14,15  
**research** 55:2 66:8  
68:12 70:7 82:10  
143:22 144:6 145:6  
155:15  
**researchers** 65:1 67:12  
**researching** 42:15  
**researchs** 65:16  
**resistance** 259:4  
**resistant** 73:4  
**resisting** 260:12  
**resolutions** 66:9  
**resolve** 180:12  
**resolved** 22:22 181:2  
202:9  
**resource** 59:18 80:7  
89:20 92:20 93:4  
166:11  
**resources** 53:9 65:17  
65:21 69:15 70:4,18  
92:17 94:8 98:15,20  
176:10 184:5 252:4  
272:11 296:17 301:22  
**respect** 156:17  
**respected** 61:20 69:16  
**respectful** 105:15  
**respective** 44:7  
**respond** 55:4,5 89:5  
94:4 157:2 174:9  
253:12  
**responded** 206:15  
208:2 281:15  
**respondents** 206:17  
**responding** 90:1  
**responds** 159:16  
**response** 52:4 76:20  
77:8 78:1 96:12 99:17  
112:22 113:4,6  
123:11 138:1,3  
177:16 184:2 203:11  
208:3 218:1 270:19  
291:5  
**responses** 206:1,3,4  
207:21 219:1  
**responsibility** 55:4  
**responsible** 73:7  
**responsive** 27:19  
139:18 300:18  
**rest** 41:15 64:4 82:17  
103:13 313:1  
**restoration** 237:22

**result** 28:11 245:16  
293:13  
**results** 70:7 143:13  
173:19 247:15  
**resumed** 121:21 169:22  
**resurvey** 189:16  
**ret** 1:19 2:2,9  
**retired** 70:20  
**retrofitted** 113:2  
**return** 190:5 207:12  
**revenue** 6:11  
**review** 1:4,11 4:18 5:5  
44:11 61:14 157:12  
159:12 164:14,14  
168:22 173:10 182:12  
198:21 271:14 286:9  
**reviewing** 286:10  
**revisit** 230:11  
**rewrite** 53:17 225:21  
**rewriting** 226:2  
**rich** 2:4 122:16 131:11  
139:14 160:10 163:20  
165:7,10 213:18  
214:4 236:1,2 318:18  
**Rich's** 288:3  
**Richard** 4:12 310:4  
**Rick** 2:13 157:11 182:1  
188:15 204:8 210:20  
272:4 304:11  
**rid** 151:9  
**Ridge** 312:6  
**ring** 131:1  
**Rio** 90:5  
**rise** 101:21 237:20  
238:5,12 239:4,9  
249:15 264:19  
**risk** 123:6,8 138:4  
139:3 198:3  
**risking** 78:3  
**risks** 100:4  
**river** 13:11 34:10 87:4  
87:16 190:7,22 212:1  
231:4,7 236:21  
**rivers** 14:1 63:19  
**road** 92:6,8  
**roads** 133:19  
**robin** 287:19  
**robot** 197:15  
**robots** 197:16  
**robust** 93:10  
**rock** 46:18  
**Roger** 216:22  
**role** 20:4 48:18 79:16  
159:6 192:4 250:9  
293:5 295:20  
**rolled** 318:14  
**rolling** 44:19 191:5  
**room** 5:13 19:10 38:15

51:8 97:14 100:8  
113:15 176:7 256:8  
269:12  
**rooting** 78:20  
**roots** 297:17  
**Rose** 126:8  
**Ross** 242:13  
**Rouge** 190:14  
**round** 74:1 287:19  
**route** 54:21 55:1 74:21  
75:3,4,7,7 76:15  
**routes** 74:18  
**routing** 58:12 83:19  
**row** 17:18 229:22  
241:20 297:4  
**RPMs** 212:18  
**rug** 172:8  
**rules** 83:15  
**run** 84:9 93:3 150:17  
177:2 205:13 212:12  
224:19 240:12 316:4  
**rung** 207:7  
**running** 32:20 38:14  
140:4 144:20 298:4  
**runway** 84:9  
**Russia** 96:16  
**Russian** 75:11 96:1,6  
113:4 138:16  
**Russians** 53:3 95:10

## S

**S-1** 54:8  
**Saade** 1:15 4:3 7:1  
31:18,18 38:18 39:5,7  
45:9,14,18 46:8,11,20  
47:3,14 99:19 170:2  
176:17 181:22 188:8  
188:11,15 191:19  
198:9 199:5 202:22  
208:12 212:6 213:11  
217:21 218:2,6  
219:14,19 221:12,16  
223:8,11,15,18 224:4  
224:11,16 228:10  
230:4 233:10 240:10  
241:2,7,18 243:2  
257:14 262:3 264:8  
265:16 266:15,20  
267:6,10,15 268:8  
271:8 273:12 274:14  
277:22 278:11,16  
279:17 286:18 287:11  
289:20,22 290:7,12  
291:18 293:7,15  
295:4,9 296:3,6,12  
298:6 307:13 311:3  
311:12,15 312:12  
314:6 315:19 319:3,5

319:17  
**SAB** 40:16 41:1,18,20  
42:5,17,22 219:20  
**sad** 116:13,18  
**safe** 64:19 67:18 68:17  
73:7 93:18 99:12  
100:3 127:1 137:7  
177:14  
**safely** 52:8 106:10  
138:7  
**safety** 3:16 48:16 51:17  
51:21 60:14,16 62:8  
62:15 63:21 67:13,16  
67:20 68:6,13,15,16  
69:12,15 71:8 78:15  
85:5 117:5 137:17  
191:2  
**sailboats** 131:21  
**Saildrone** 193:19  
194:11 195:3 196:4  
196:19  
**sailed** 49:5  
**sailing** 87:2  
**sake** 106:3 157:20  
**Saloon** 18:17  
**salt** 164:18  
**salvage** 138:3  
**sample** 207:20  
**sand** 195:7  
**Saraf** 2:22 4:13 191:21  
192:1,10 198:10  
217:12  
**sat** 72:1 219:20 308:13  
**satellite-derived**  
245:12  
**satellites** 61:7  
**satisfy** 166:8 180:4  
**save** 78:4  
**savings** 75:13  
**saw** 19:2 40:4 78:17  
109:5 116:6 148:14  
162:14 186:1 229:11  
283:7 290:16 297:3  
309:19  
**saying** 6:15 23:19  
30:14 52:21 84:8  
111:14 134:3 143:5  
154:5,11 162:15  
171:10 216:22 222:15  
244:22 245:1 252:2  
259:14 260:12 261:13  
282:22 293:11 310:5  
316:18,22 318:3  
**says** 22:4 118:2 120:19  
141:11 145:21 249:19  
281:20 302:9  
**scale** 31:3 200:18,22  
201:6,7,16 202:5

306:18  
**scales** 200:11,16,18  
201:2,4  
**scattered** 213:16  
**scenario** 207:1  
**scenarios** 123:6 207:4  
207:10  
**scenes** 119:10  
**schedule** 121:18  
**scheduled** 274:7  
**scheme** 200:15,21  
201:2 202:2,10,19  
**school** 62:3 73:11 87:1  
88:3,9 90:4 105:5  
**schools** 106:5  
**Schultz** 94:20  
**Schultz's** 51:5  
**science** 35:9 39:14  
55:22 57:2,5 59:4  
111:6,7 112:5 115:12  
124:7 155:16 245:19  
**Sciences** 123:2  
**scientific** 15:15  
**scientists** 26:19 56:5  
56:10 66:7  
**scope** 156:6  
**scoping** 155:18,20  
**screen** 145:21 234:10  
252:6  
**sea** 14:4 25:20 54:21  
58:21 70:5 74:21 75:7  
76:14 91:11,14 93:9  
99:2 103:18 110:8  
113:2 125:11 171:21  
172:6 176:3 194:12  
201:6 203:16 238:4  
238:12 239:3,9  
249:15 252:14 253:6  
264:19 266:1,6,9  
278:18 302:10  
**sea-level** 237:20  
**seabed** 41:4 184:2  
187:12 312:5  
**Sea** 66:21  
**Sean** 1:16 13:10 109:14  
232:21 239:6 241:11  
251:14,15 255:12  
256:14,17 290:9  
296:8 315:16  
**seaports** 237:1  
**search** 55:6 113:13  
**season** 65:13,14 186:4  
205:22  
**seasonal** 55:9 104:15  
**seasons** 65:4  
**seats** 68:3  
**Seattle** 194:10,10  
**second** 25:2 30:6 33:22

56:5 86:8 98:3 123:16  
139:8 184:1,8,9,20  
210:1 222:3,5 235:14  
236:9 268:8 294:19  
294:21 313:21  
**Secondly** 107:19  
**secret** 56:19  
**Secretary** 2:9 94:21  
95:5  
**section** 65:22 81:20  
159:19 270:22 275:19  
**sections** 159:15 182:17  
280:9  
**sector** 6:7 24:8 29:4  
99:3 158:4 173:7  
175:1 206:8  
**sectors** 206:5  
**security** 25:19 54:6,9  
54:17 65:12,19,21  
66:3 90:20 94:19  
102:13,14,15 103:8  
117:4  
**sediment** 47:7  
**seeing** 6:8 11:16 22:15  
30:5 40:12 51:14  
74:22 138:17 145:2  
264:12 280:19,20  
**seek** 80:4  
**seeking** 29:3  
**seen** 7:19 39:1 70:8  
113:20 143:12 150:18  
163:3 217:19 254:10  
301:13  
**sees** 163:4  
**self-fund** 100:13  
**self-serving** 144:15  
**sell** 53:2 260:7  
**semester** 56:9  
**seminar** 93:7  
**seminars** 265:7  
**Senate** 96:21  
**Senator** 85:15 96:8  
105:21  
**Senators** 97:17  
**send** 83:10 128:14  
129:2 206:8 240:20  
240:22 300:19  
**sending** 82:9 274:3  
**sends** 139:21 151:15  
**Senior** 49:12,13  
**sense** 58:22 61:10  
248:5 282:20 285:1  
**sensitive** 69:1 251:20  
**sensor** 205:1  
**sensors** 56:20 188:6  
**sent** 141:4 206:6  
207:22 218:19  
**sentence** 284:2 300:19

**sentences** 158:13  
**separate** 257:11 288:8  
 305:12  
**separated** 81:12  
**September** 155:13,14  
 215:16  
**Serenity** 104:8  
**series** 236:13 309:17  
**serious** 104:6  
**seriously** 164:1,20  
 167:11 185:7 255:14  
**serum** 83:18  
**service** 2:13 30:16,18  
 46:1 49:12,13 63:8  
 76:10 83:13,16 104:1  
 140:5,22 153:14  
 165:21 167:20 175:1  
 189:10 196:10,12,14  
 222:10 272:10 290:21  
**Service-related** 46:3  
**services** 1:4,11 2:5,15  
 2:20 5:5 15:21,21  
 16:2 22:7 124:6  
 158:15 191:13 235:17  
 271:14  
**servicing** 154:21  
**SES** 285:16  
**session** 4:4 5:5,8 36:4  
 48:6 58:17 122:2,4  
 155:18,20 156:5,19  
 174:21 228:8 230:5  
 241:12 269:3 272:1,2  
 272:16 274:2  
**sessions** 221:19 227:2  
 270:7  
**set** 44:13 165:14 166:10  
 166:12 239:17 240:7  
 257:1 270:13 319:13  
**sets** 32:13  
**setting** 148:3 206:15  
 240:21  
**settle** 305:15  
**setup** 314:17  
**seven** 169:15  
**Sewells** 238:14  
**sexy** 114:15 134:5  
**shallow** 186:4,16,22  
 187:6,22 188:3 229:8  
**shallower** 187:1  
**shallowest** 180:2  
**shape** 213:7  
**share** 8:22 50:13 64:17  
 64:22 66:6 101:9  
 166:21 167:1,8  
 234:11  
**shared** 66:9 73:6 86:2  
 89:12 203:20  
**sharing** 70:13

**sheen** 78:9  
**Shell** 80:8 93:8,21  
 95:20  
**Shep** 2:11 15:17 28:18  
 29:20 30:14 47:3  
 103:16 163:20 231:8  
 235:7 253:2 255:19  
 256:14 289:6 300:17  
 302:2 313:2  
**Shep's** 33:17 43:6  
 46:17 153:20  
**Shield** 55:13  
**Shingledecker** 1:20  
 5:15,19,22 246:7  
 304:22  
**ship** 67:6 104:8 138:2  
 140:9,19 141:1,5  
 147:9 187:8 188:4  
 189:19,19 228:19  
 304:15  
**ship-to-shore** 69:14  
**shipboard** 189:20  
 194:6  
**shippers** 76:14  
**shipping** 79:5 127:1  
 152:5 178:14 211:17  
**ships** 49:5 53:5 57:15  
 71:1,11,13 75:19  
 78:10 95:13 113:12  
 120:4,4,5 133:19  
 134:5 188:6 192:22  
 195:12 196:1 199:14  
 199:16 215:1,6,22  
 227:6  
**shore** 91:18 99:14  
 103:15,20 104:21  
 183:2 204:20 208:20  
**shore-based** 91:19  
 95:17 96:12 103:1,14  
 103:22  
**shoreline** 10:13 16:7  
 26:15 32:17 183:19  
 229:14 278:4,10  
 279:20 280:14 281:9  
**shorelines** 10:15 294:2  
 294:7  
**short** 9:15 89:4 166:9  
 214:6,17 288:15  
**short-term** 125:2  
**short-terms** 125:16  
**shorter** 170:17  
**shortly** 189:5  
**shout-out** 310:16  
**shoved** 234:6  
**show** 53:7 74:13 185:2  
**showed** 113:5 242:5  
 311:21 316:9  
**showing** 128:17,20

186:2  
**shown** 100:15 210:16  
 297:22  
**shows** 74:13 119:11  
 185:11  
**shrink** 319:15  
**Shumagin** 201:8  
**shut** 141:11  
**side** 14:16 16:17 22:14  
 25:5 30:20 36:12 42:5  
 47:6 57:21 71:10 96:2  
 310:5  
**sidelines** 114:21  
**sides** 171:20  
**signal** 57:12 128:6  
**signals** 50:19 128:8  
**signature** 53:18  
**significant** 70:9 89:20  
 90:13 91:17 93:19  
 96:17 106:9 301:12  
 301:17 304:8 313:9  
**significantly** 272:8  
**signing** 118:9  
**silos** 232:2  
**similar** 13:17 67:15  
 110:18 170:11 216:16  
**similarities** 110:4  
**similarly** 19:22  
**simple** 88:14 94:16  
 115:8 119:17 129:7  
 151:7 260:15  
**single** 216:4,4 230:9  
 233:17 316:4  
**sir** 106:21 111:3 113:10  
 134:14 318:16  
**Sirius** 131:8  
**sit** 19:6 303:7  
**site** 94:12  
**Sitka** 62:3,4  
**sits** 185:15  
**sitting** 85:20 105:18  
 151:11 170:5 256:7  
 269:12 318:19  
**situation** 76:6  
**six** 39:13 40:21 57:10  
 76:16 243:3  
**six-week** 205:16  
**sixth** 73:20  
**size** 63:17 119:19  
 314:20  
**skills** 71:12  
**skip** 39:16 293:16  
**skipper** 52:9  
**skittishness** 111:10  
**slackers** 208:7  
**slate** 58:16  
**slice** 185:9  
**slide** 39:11,18 40:19

41:2,17 43:4 44:19  
 52:1,14 53:16 55:7  
 56:17 57:20 59:10  
 64:18 65:2 66:12 68:5  
 68:20 69:13 70:3  
 185:3,8 273:11  
**slides** 186:10 207:17  
**slightly** 195:20  
**Slope** 55:14 59:7 102:8  
 123:3 278:18  
**slow** 118:14  
**sluggish** 29:13  
**small** 18:2 31:3,3,6,9  
 87:9 88:2 115:15  
 183:10 239:17 291:9  
 313:22  
**smaller** 154:20 200:17  
 200:22 201:5  
**smart** 115:12 145:18  
 146:11 225:6 247:19  
**smarter** 60:6 85:21  
 293:13  
**Smith** 2:11 17:5 27:10  
 28:4,21 47:4 86:14  
 98:8 115:18 135:5,6  
 139:19 140:3 148:15  
 182:4 191:13 231:8  
 238:18 278:13 281:14  
 283:14 313:3 316:18  
**Smith's** 279:4  
**smoking** 77:20  
**smooth** 172:4  
**snow** 105:22  
**social** 49:22 65:8  
**socialize** 277:8  
**socioeconomic** 101:18  
 190:1 210:10  
**software** 84:19 85:4  
 144:8  
**SOLAS** 152:8 153:2  
**solution** 70:16 132:16  
 146:3 249:2,12  
 298:17 302:1  
**solutions** 9:5 70:11  
 84:15 132:15,19  
 299:16  
**solve** 135:2 144:9 227:7  
 227:9,18  
**solving** 297:19  
**somebody** 9:14 83:11  
 84:4,8,9 126:14  
 127:15 141:4 228:11  
 239:8 255:16 267:11  
 312:10  
**someone's** 84:12 151:9  
**someplace** 150:16  
**somewhat** 105:4  
 136:11 144:14

- sonar** 31:12  
**soon** 50:14 202:19  
**sorry** 48:4 80:12 126:9  
 142:20 148:18 155:9  
 155:9 161:5 168:17  
 186:19 188:16 238:10  
 266:14 273:8,9  
 285:12 290:7 291:20  
 302:15  
**sort** 31:5,11 47:13  
 114:20 133:12,20  
 134:6 143:8,19  
 152:12 153:3 154:22  
 180:18 183:14 206:16  
 206:20 207:11 216:16  
 217:2,9,16 236:7  
 289:13 304:10  
**sorts** 34:18  
**sound** 81:10 137:8  
 177:15 178:5,11  
 217:6 264:15  
**sounded** 108:13 159:17  
**soundings** 202:5  
**sounds** 48:1 299:10  
**source** 59:18 99:4  
**sources** 6:10 27:1,7  
 59:18 200:2 245:11  
**sourcing** 123:18 124:1  
**south** 77:9  
**Southeast** 178:2,6  
 181:14 201:8  
**southern** 167:17  
 189:21 194:21 252:13  
**sovereignty** 54:6  
**space** 37:21 57:4 74:1  
 112:1  
**span** 89:4  
**Spatial** 125:21 171:9,11  
**speak** 41:16 50:21  
 53:14 59:16 103:20  
 110:13 177:3 192:7  
 226:13  
**speaker** 85:13  
**speakers** 42:21 122:7  
 286:14 299:21  
**speaking** 50:22 73:10  
 110:3 176:19 314:19  
**speaks** 94:6  
**special** 4:4 113:16,16  
 272:1  
**species** 76:22 91:14  
 123:5,9  
**specific** 114:2 130:21  
 159:13 190:5 210:20  
 234:12 257:2 274:20  
 275:2,4,10  
**specifically** 41:12  
 178:7 192:18 204:17  
 217:4 221:2 225:5  
 234:1 255:19 283:15  
 296:21 311:8 315:13  
**specifying** 111:7  
**spectrum** 308:22  
**speed** 83:8,12 212:16  
 212:17,19  
**spelling** 294:15  
**Spencer** 94:21 95:5  
**spend** 43:1 104:18  
**spending** 101:8  
**spent** 87:3 88:20  
 177:21 230:7 290:14  
**spill** 72:13 76:20 77:2,7  
 77:14 78:1 90:2 94:3  
 96:6 113:6 123:6,7  
 138:20 255:1  
**spills** 109:21 137:10  
**spirit** 24:7  
**spoke** 254:15  
**spoken** 18:16 177:6  
 254:18  
**spokesman** 12:10  
**spot** 207:11 208:22  
**spread** 226:15  
**spreadsheet** 234:7  
**spring** 173:9 205:8,18  
**square** 185:12,16  
 186:20 314:1  
**SR** 1:16  
**St** 68:7  
**stability** 47:12  
**stabilizing** 89:19  
**staff** 2:8 41:11 120:12  
 194:3 314:14 315:20  
 316:8,12 317:3,8,21  
 318:8  
**staffed** 173:15  
**staffer** 86:19  
**stages** 68:12  
**stake** 70:7  
**stakeholder** 67:15,17  
 156:9 176:14 190:16  
 246:15  
**stakeholders** 16:3,16  
 30:12 67:22 96:10  
 98:11 306:16 313:19  
**stakeholders/data**  
 272:8  
**stand** 72:16 174:14  
 189:8 247:8  
**standard** 8:10,12,12  
 68:11 99:11 200:20  
 201:2 288:2 300:3  
 303:2 309:5,6 319:13  
**standardized** 200:15  
**standards** 62:13 152:6  
 214:14  
**standing** 287:12  
**standpoint** 100:20  
 147:14 183:12 237:10  
**stands** 182:21 203:14  
 273:3  
**star** 148:16  
**start** 5:16 32:17 45:11  
 61:7 91:17 112:17  
 123:21 133:5 136:12  
 138:17 144:16 145:9  
 145:12 170:6 187:22  
 191:6 202:18 209:21  
 211:11 214:3 227:5  
 247:22 275:9 279:18  
 288:3 290:5,8,10  
 307:14 312:16  
**started** 70:22 105:6  
 120:5 122:20 144:21  
 187:16 203:8 211:8  
 223:16 234:14 236:14  
 251:7 255:9 257:7  
**starter** 31:5  
**starting** 72:2 89:17  
 195:17 200:13 202:16  
 213:21 239:10 308:2  
**starts** 31:20 58:17  
 91:16 102:12  
**state** 18:5,6 25:22 33:5  
 54:3 60:20 61:4,5  
 97:2 119:19 156:9  
 170:19 174:11,12,12  
 174:14,15 175:4  
 206:7 259:5,9 263:16  
**stated** 193:9  
**statement** 15:19 16:8  
 16:21 162:2 264:17  
 273:10 274:10,11,15  
 276:15,18,20,22  
 277:7,16 279:10  
 281:4 291:6 308:6  
**statements** 307:1  
**states** 36:21 82:14  
 147:15 170:22 206:7  
 259:5  
**station** 6:16 87:12  
 149:19 150:6 179:12  
 179:16,16,19 180:1,8  
 180:11 238:14 284:4  
**stations** 75:17,20 82:4  
 82:7 125:14,16 178:1  
 178:4,6,9,13,19  
 179:14 180:6 280:11  
 281:2 284:3,14 285:5  
 304:2  
**statistics** 184:7  
**statue** 41:4 145:19  
 230:6  
**staunch** 168:5  
**stay** 103:18 106:6  
 135:14 174:13 258:21  
**steady-state** 119:22  
**steal** 8:1 271:11 273:14  
**Steering** 191:2  
**step** 22:20 24:9 34:7  
 42:19 44:10 45:21  
 59:7 64:18 82:11  
 230:14 256:3 269:2  
**steps** 4:20 44:8 135:16  
 235:21  
**Sterne** 3:17 4:6 85:13  
 86:5,12 99:20 100:15  
 105:2  
**stick** 106:7  
**stirring** 232:7 233:2  
 296:10  
**stolen** 11:12  
**stop** 19:19 281:15  
**stopped** 94:22  
**stories** 63:12 315:10  
**storm** 237:21  
**Stormy** 17:19  
**story** 14:11,12 15:13  
 134:22  
**straight** 93:17 262:1  
**Strait** 122:22 201:8  
**Straits** 91:11  
**strategic** 25:6 89:15  
 102:20 151:10 157:2  
 159:5 166:14 256:20  
 286:10 308:4,14  
**strategical** 257:10  
**strategically** 237:7  
**strategies** 3:17 86:7  
 192:16  
**strategy** 52:18,21 53:1  
 53:10,17 54:10 56:17  
 182:5 184:10 200:2  
 201:14 257:1 296:20  
**stream** 129:9 216:11  
**streaming** 115:5  
**streams** 43:17  
**street** 189:13  
**strength** 135:22  
**strengthening** 108:6  
 109:11  
**stressed** 104:10  
**stretch** 314:20  
**string** 128:3  
**stripe** 114:18  
**strive** 23:13  
**striving** 176:12  
**strokes** 59:12  
**strong** 89:18 111:6  
 282:17 283:9  
**strongly** 61:3 224:1  
 231:11 282:6

**struck** 6:1 73:13  
**structure** 27:20 227:15  
 305:9  
**structured** 13:3 297:14  
**stuck** 74:18  
**students** 41:11 174:17  
**studies** 155:14 236:13  
**study** 27:4 58:22  
 101:21 118:1 156:2,7  
 156:16 173:20 178:11  
 178:16,20,21 179:2,4  
 184:15 190:1 203:3,7  
 203:14,15 204:8,11  
 204:15 205:7 208:10  
 210:10 235:20 236:22  
 312:20  
**stuff** 11:11 12:20 13:1,7  
 133:17,20 134:6  
 135:22 141:13 143:8  
 153:15 154:4,22  
 162:9 171:3 196:9  
 197:17 217:9 222:8  
 228:3,12 250:7 253:8  
 292:18 299:19 301:22  
 315:9,9 317:1  
**subcommittee** 142:15  
 239:17 240:6 246:18  
 266:8  
**subcommittees** 244:13  
**subfloor** 172:12  
**subject** 38:2 48:12  
 174:3 221:11 236:11  
 261:20  
**submarine** 95:9  
**submit** 161:11 315:14  
**submitted** 157:10  
**subscribes** 173:4  
**subset** 136:2  
**subsets** 315:21  
**subsidence** 241:12  
**subsistence** 65:11,16  
 67:7 68:1 69:17 70:15  
 90:17 91:6 101:15  
 123:4 139:12  
**substantial** 272:17  
**subsurface** 220:1  
**subtractions** 298:8  
**success** 14:11,12 66:10  
 256:5  
**successful** 67:2 77:10  
 77:12,13 300:22  
 310:18  
**succinct** 163:2 169:7  
**sudden** 202:8  
**suggest** 53:19 156:18  
 233:11 240:3 307:12  
**suggested** 129:18  
**suggestions** 163:8,10

232:18 248:1 264:3  
**suite** 199:10,12 200:9  
 201:10,20  
**suited** 162:17  
**Sullivan** 39:21 97:18  
**summarize** 126:12  
**summary** 39:8,10 289:1  
 289:12,14 305:11  
**summer** 56:10 173:19  
 180:16 194:2,19  
 205:18,21  
**summit** 90:5 173:8  
 174:21  
**Summits** 173:6  
**sunny** 17:11  
**superb** 29:7  
**superseded** 201:18  
**supplies** 198:15  
**support** 8:4 11:6 12:19  
 21:15 26:6 33:4 36:19  
 38:9 47:11,18 79:22  
 88:19 89:8 107:14  
 127:3,20 134:3 159:6  
 169:16 175:7,11  
 177:15 178:17,20  
 182:8 187:12 193:3  
 202:10 203:22 236:5  
 249:21 256:13 262:11  
 279:1,6 280:11 282:4  
 282:7 283:5 316:12  
**supported** 254:8  
**supporting** 37:7 156:2  
 189:8 256:1 310:21  
**supposed** 141:19  
**surf** 33:3  
**surface** 57:6,16 77:1  
 180:21 193:11 208:17  
 220:1  
**surge** 237:21  
**surprised** 17:8 110:3  
**surprisingly** 165:15  
**survey** 2:4,11,13,14,15  
 2:16,18,22 16:6 31:6  
 36:9 91:10 156:12  
 182:18 185:21 186:1  
 189:20 190:13 192:3  
 192:5,13 194:15  
 203:21 205:7,18,19  
 206:2,13 207:22  
 212:11 213:12 215:1  
 246:2 313:10 314:3  
**surveyed** 185:20  
**surveying** 15:13 174:19  
 190:9 313:12  
**Surveyor** 174:13  
**surveyors** 258:9  
**surveys** 20:16 31:3  
 124:17 176:20,20

211:9  
**survival** 64:2 70:5  
**survive** 65:14  
**Susan** 1:20 5:15 7:3 8:1  
 8:6 248:8 251:11  
 255:8 268:20 306:22  
 315:1  
**Susan's** 255:16  
**suspect** 246:19  
**suspended** 180:18  
**sustainable** 6:10 90:6,9  
**Sutron** 130:9  
**swath** 185:22  
**sweep-up** 116:14  
**sweet** 207:11  
**Swiss** 118:9,17  
**switch** 214:15  
**switching** 259:17  
**synergy** 31:16 296:21  
**synthesize** 158:22  
**synthesizing** 98:14  
**system** 8:19,20 31:7  
 51:15 58:12 84:20  
 92:6,8 122:12 125:22  
 126:19 128:17 129:8  
 130:19 131:13 158:3  
 160:9 170:19 171:9  
 171:12 174:15 179:1  
 212:9 214:11 227:17  
 236:14 237:2,8,16  
 259:6 272:18 285:20  
**systems** 3:12 28:6 60:5  
 60:8 65:8 81:16 83:4  
 115:4 116:6,13,17  
 131:13 216:22 217:3  
 217:4,11

## T

**table** 97:14 98:18  
 127:18 134:22 165:17  
 276:19  
**tables** 177:19 178:4  
 181:12 314:21  
**tabling** 240:4  
**tabs** 226:22  
**tactical** 256:20 257:1  
 257:10  
**tad** 38:14  
**takeaway** 6:20 7:12  
 301:7  
**takeaways** 197:13  
**taken** 6:3 10:9 101:19  
 123:3 150:15 169:2  
 171:4 201:13  
**takes** 74:16 97:6,7  
 110:1 244:13,15  
**talk** 28:5 36:12 41:11  
 45:1 48:11 49:19 57:9

71:4 72:19 88:7 92:7  
 98:2 104:5 108:12  
 115:6 135:21 136:7  
 137:12 138:1 151:22  
 156:18 168:18 177:11  
 179:11 181:13 184:6  
 192:10 214:6 225:1  
 243:14 250:8 256:14  
 258:5 289:18 301:5  
 308:21 316:16  
**talked** 9:13 32:14 59:22  
 60:15 80:6 92:3 95:4  
 95:18 98:13 103:16  
 110:20 116:22 139:19  
 140:6 145:15 148:17  
 160:10 168:10 177:4  
 179:14 185:5 217:1  
 219:10 257:21 258:1  
 274:1 282:7 304:11  
**talking** 29:2 31:2 55:17  
 65:18 85:21 99:22  
 108:14 115:9 120:13  
 130:19 131:11 143:7  
 147:7 150:1 159:8  
 172:2 175:3 182:1  
 188:3 196:6 213:19  
 215:7 233:14 234:2  
 235:21 242:20 251:11  
 253:15 255:1 256:21  
 257:4 260:9 265:21  
 268:17 274:10 279:18  
 290:15 313:15 314:8  
**talks** 18:2 29:5 103:1  
**tall** 187:19  
**Tampa** 34:9 236:18  
**tangible** 20:12  
**tankers** 178:8 199:15  
**tanks** 78:5  
**tape** 301:6  
**tar** 87:8,14  
**target** 182:18 237:6,8  
**targeted** 98:10 174:4  
 314:3  
**task** 174:14 296:22  
**tasked** 187:11  
**tasks** 217:4  
**taste** 176:11 315:5  
**tax** 32:7  
**team** 6:3,15,21 53:8  
 131:12 189:8 195:11  
 197:15 204:3 249:20  
 315:17  
**teams** 55:22 113:15,16  
 113:17  
**technical** 41:10 174:11  
 214:17 223:19 258:22  
 262:20 315:9 316:12  
**technically** 314:18

- technicals** 260:16  
**technological** 19:13  
 142:6  
**technologies** 15:9  
 30:10 31:1 32:4 60:17  
 192:15 219:4 221:8  
 221:20 223:20 279:15  
**technology** 4:3 16:17  
 19:3 20:17 31:7 38:16  
 47:22 59:4 114:14,20  
 118:5 133:1 154:15  
 185:5,6 192:18  
 193:18 205:3 225:13  
 227:9 230:18 232:3  
 244:5 245:18  
**techy** 298:16  
**telecons** 219:9 225:13  
**telephone** 155:5  
**tell** 21:10 51:19 52:10  
 54:18 62:22 63:22  
 76:15 81:12 84:3,5  
 110:2,22 112:14  
 128:5 150:8 172:18  
 206:18 251:7 265:15  
 269:7,9 295:1 315:6  
 317:15  
**telling** 50:16 164:6  
 296:1  
**tells** 306:2  
**template** 236:16 307:8  
**ten** 32:21 33:1,7 58:22  
 99:19 307:2  
**ten-** 58:3  
**ten-minute** 233:17  
**ten-year-old** 60:7  
**tend** 25:14 163:20  
**tendency** 232:1  
**term** 46:12 90:5 92:7  
 105:17 196:13  
**terms** 22:19 74:15  
 144:15,17 156:15  
 159:3 173:13 194:15  
 196:11 197:4 217:17  
 290:20  
**terrestrial** 27:1 32:16  
 204:11,21 279:19  
**terrible** 87:14 314:12  
**terribly** 5:11 273:9  
**terrific** 18:13 30:4  
 112:10 121:17  
**test** 195:4,22  
**testament** 89:4  
**testing** 48:8 143:20  
 192:15 217:16  
**text** 141:4 146:11  
**Textual** 39:20  
**thank** 5:3,7 14:4 17:5  
 21:2 24:17 27:8,10  
 32:11 35:22 38:11,12  
 47:2 61:14 62:22 63:1  
 70:20 71:1 72:15 86:5  
 86:12,14 106:12,22  
 107:20 110:18 112:8  
 114:4 116:10 121:7  
 121:13,16 126:4  
 135:12 147:22 148:4  
 156:19,21 157:11  
 161:3 165:4 167:12  
 169:11 176:21 181:20  
 190:12 191:18 192:1  
 198:10 199:3 202:20  
 255:6 264:6,7 267:2  
 276:6 283:20 285:2  
 286:9 292:11 293:3  
 293:11 305:11 307:5  
 307:9 310:2 311:1  
 314:10,16 315:2  
 316:1,6,7,13 318:16  
 319:6  
**thanks** 9:6 21:5 24:18  
 33:21 50:3,5 61:17  
 71:3 82:6 84:11 85:8  
 85:12 116:19 124:13  
 147:20 148:5 155:1  
 157:9 164:22 165:7  
 170:6 176:17 181:22  
 188:15 191:19,22  
 196:2 199:5 202:22  
 203:4,5 209:14  
 213:11 218:3 257:15  
 290:19 291:20 304:21  
 308:4 314:14 315:12  
 318:18  
**theme** 55:20  
**themes** 35:18  
**third** 184:3 195:1  
 236:20 238:3 239:2,3  
**thirdly** 26:9  
**Thomas** 1:21 15:6,6  
 16:11 45:3,13,17 46:6  
 46:10,19 47:2 157:8,9  
 161:16 163:7 165:1  
 168:15 208:15 209:4  
 209:11,14 210:13  
 229:3 239:12 240:19  
 241:4 252:8 265:19  
 266:18 267:4,8,12,17  
 268:10 270:9,17  
 274:6,16 275:17  
 276:7 278:1,15 279:2  
 279:11 281:1,11,19  
 283:19 285:6 286:8  
 287:2,20 289:15,21  
 292:16 294:14 307:4  
 307:16 318:17  
**Thompson** 1:22 9:7,7  
 168:9 169:5,8 257:21  
 260:22 261:15 299:20  
 318:21  
**thoroughly** 21:17  
**thought** 10:16,21 16:7  
 16:20 22:9 23:2 26:17  
 40:1 46:13 47:5 86:19  
 93:12,18 98:4 99:7  
 130:18 133:4 158:20  
 164:9 205:9 216:9  
 218:17,20 219:10  
 220:9,22 222:9 266:2  
 267:5 275:12 279:5  
 286:14 288:6,9 291:7  
 293:2 298:14 305:8  
 313:4 314:15  
**thoughts** 142:9 163:15  
 226:12 307:17  
**thousand** 27:2 55:13  
 115:11  
**thousand-** 138:21  
**thousands** 64:8 81:14  
 105:16 260:1  
**threats** 54:6  
**three** 27:1 31:15 52:4  
 67:22 107:15 109:2  
 113:19 128:11 146:13  
 163:11,21 170:17  
 175:1 182:19 218:22  
 244:18 245:10,18,19  
 245:20,21 280:8  
 281:20 284:15,17,22  
 303:14 306:14 307:1  
 311:12 315:14 318:19  
**three-beam** 111:18  
**three-day** 93:7  
**threshold** 241:19  
**threw** 194:13 291:5  
**thrilled** 22:13 24:15  
 163:12 290:15  
**thrive** 88:17 90:10  
**throw** 222:7 249:3  
 288:9 312:1,15  
**thrust** 261:14  
**thumbs** 112:7  
**thunder** 8:1  
**Thursday** 1:8 5:4  
**tickling** 27:14  
**tidal** 125:15,17,22  
 134:9 158:1 171:17  
 177:19,22 178:3,18  
 181:12 213:6 216:14  
**tide** 129:2,3,4 238:13  
 238:14 304:12  
**tides** 43:20 177:9,9,10  
**tie** 125:17,21 130:9  
 197:4 229:15,18  
 239:20 240:1  
**tied** 130:5 242:3  
**tier** 288:3,4,4 302:17,17  
 302:18 308:20,20,20  
 309:3,4  
**tiering** 309:2  
**tiers** 309:8  
**ties** 46:22 126:17 280:2  
 280:3 317:10  
**Tim** 2:9 242:18  
**time-** 176:1  
**timeline** 115:21  
**timelines** 97:9  
**timely** 142:1  
**times** 27:2 37:2 57:22  
 68:10 71:16 117:6  
 118:11 123:20 127:3  
 128:11 150:18 248:17  
 250:22  
**timing** 39:9 69:3 114:16  
**tiny** 314:10  
**tireless** 97:19 99:2  
**title** 128:22 273:11  
 274:10  
**titles** 52:13  
**to-bank** 190:13  
**tobacco** 64:9  
**today** 45:2 50:22 52:14  
 55:7 72:20 80:4  
 106:13 121:14 148:15  
 177:3,11 182:21  
 189:4 192:8,22  
 198:14 231:10 246:21  
 287:1  
**today's** 64:13  
**told** 87:17 130:8 131:3  
 162:22 206:7  
**tolerant** 317:19  
**tomorrow** 55:8 107:4  
**tomorrow's** 109:6  
**ton** 267:9  
**tongue** 264:17,18  
**tons** 199:15,16  
**tool** 44:1 145:6 151:12  
 166:10 175:7 247:3  
 292:7,11  
**tools** 44:15 142:6  
 175:11 176:2,10  
 310:11  
**top** 21:15 98:5 107:22  
 108:5 109:2 150:2  
 154:13 191:15 211:17  
 220:16 221:14 230:3  
 233:22 299:8 303:13  
**topic** 40:20 91:7 156:3  
 168:7 221:17,18  
 229:4,17 230:2  
 235:14 236:8 238:3  
 239:2,4,19 241:9

249:14 251:1,13,20  
265:10,17  
**topics** 12:18 39:14  
40:21 135:17 218:17  
218:22 220:13 221:1  
222:2 224:22 228:9  
233:12 234:4 242:3  
245:7,8 246:10,13  
247:22 248:2,3  
252:21 276:8 316:15  
**topo** 204:11 294:5  
**topo-bathic** 311:9  
**topo-bathy** 303:19  
**topographic** 14:14,20  
15:3 204:22 294:1,6  
**topography** 36:16 38:2  
125:20  
**total** 149:18,19  
**totally** 160:10 171:6  
248:8  
**Totten** 87:12  
**touch** 198:12 209:9  
**touched** 91:4 291:1  
**tough** 102:2  
**tour** 6:1 50:11 94:21  
**tourism** 54:14 67:11  
**Tours** 30:22  
**towers** 61:6  
**towing** 113:2,6,13,18  
**traced** 184:18  
**track** 58:11 150:21  
225:2 243:15,17  
**tracking** 78:19 83:22  
123:3 226:7  
**tracks** 122:18  
**traction** 299:17  
**trade** 54:11 74:19 75:3  
75:4  
**traditional** 93:16  
**traffic** 54:14 59:1 66:13  
67:6 68:19 70:8 74:22  
75:7,8,10 89:10 93:9  
93:14 140:5,21 141:7  
**train** 53:6  
**transfer** 41:4 153:5  
217:9 245:18 303:4  
**transformation** 175:7  
**transit** 180:5 216:3,7  
**transiting** 215:11  
**transition** 15:2 22:19  
172:4 175:12  
**transitting** 148:8  
**translating** 212:19  
**transmission** 73:1 79:2  
84:18  
**transmissions** 84:16  
**transmit** 81:17 84:21  
126:20 150:4

**transmitter** 115:7 128:3  
**transparent** 134:5  
**transport** 47:8 56:22  
**transportation** 3:11  
51:15 92:4 120:17  
175:2 285:20  
**transporting** 74:19  
**transshipped** 92:2  
**travel** 111:21  
**traveling** 71:18 306:15  
**treated** 56:12  
**tremendously** 119:5  
**trend** 238:22  
**tribal** 54:3 286:14  
**trick** 132:18  
**tried** 70:21 235:12  
258:10 305:15  
**trigger** 204:9  
**trip** 62:19 212:1 257:9  
315:11  
**trips** 88:22  
**troublemaker** 253:18  
256:18  
**true** 15:19 67:1 135:20  
**truly** 317:7,20  
**trust** 171:4  
**truth** 83:18  
**try** 10:7 28:13 44:7  
73:12 78:3 97:15  
100:5 105:21 115:14  
115:20 140:16 144:4  
156:6 166:13,19  
167:6 179:22 195:6  
210:17 257:10 304:15  
305:15  
**trying** 11:7 13:20 14:3  
17:2 18:12 21:9 32:21  
34:4 46:4 50:6 94:1  
108:16 112:15 127:14  
154:1 162:17 171:5,6  
172:12 183:21 187:11  
191:8 206:18 213:5  
220:20 226:14 253:20  
269:13 284:1 292:18  
302:3 305:3 310:8  
**tsunami** 25:21 26:4  
237:22  
**Tuesday** 55:11 155:14  
**tug** 153:10  
**tugboat** 31:1  
**tugs** 118:21  
**tune** 141:12  
**turn** 48:6 105:22 128:6  
147:10 157:7 214:5  
266:1 313:2  
**turning** 209:16  
**turnout** 316:8  
**turns** 223:22

**twelve** 305:7  
**twenty** 312:18  
**twisted** 117:14  
**two** 17:18 22:1 30:1  
41:9,21 44:7 45:4  
48:8 51:9 63:5 68:10  
74:18 76:9 107:12,22  
121:14 122:7,7,11  
123:13 163:11,17,19  
168:22 179:21,21  
182:16 190:9 195:10  
199:9 200:19 210:5  
212:5 223:3 229:21  
239:12 242:3 245:13  
245:18 246:2 264:19  
265:20 268:7,11  
274:12 276:10,12  
277:9,21 281:6,11,13  
282:1 285:8 286:14  
288:9 306:13 311:15  
313:3 319:10

**two-** 93:7  
**two-page** 288:22  
**two-pound** 314:21  
**two-thirds** 186:21  
**tying** 125:20  
**type** 30:16 31:1 46:20  
47:12 128:13 176:9  
205:4 209:19 214:13  
224:8 230:15,18  
267:13 284:11 298:12  
**typed** 276:10  
**types** 32:5,13 43:6,19  
45:22 46:3,16 71:18  
139:4 146:14 192:20  
217:18 227:22  
**Typically** 100:21  
**typing** 268:10

---

## U

**U.S.** 1:1 3:12 32:7 59:17  
66:15 67:4,14,14  
68:14 79:22 80:3  
88:18 89:8,18 91:2,7  
95:6,7,12 96:14,19  
106:11 114:7 169:18  
199:18 201:17 237:1  
243:16 246:1 251:18  
251:20 252:17  
**Uber** 50:14 76:2  
**UCAR** 189:14  
**ultimately** 201:10  
**un** 183:19  
**un-channeled** 13:5  
**unbelievable** 56:11  
**uncertainties** 183:5  
**uncertainty** 125:15  
183:5

**underlying** 7:19 36:13  
143:19 281:7  
**underneath** 172:9  
**underscore** 90:22  
**underscores** 90:9  
**underscoring** 272:6  
**undersea** 57:6  
**Undersecretary** 2:10  
286:2  
**understand** 37:15 45:4  
52:1 82:13 100:5  
126:13 133:16 151:6  
151:13 166:22 170:21  
204:15 206:17 226:11  
245:6 256:2,8 260:10  
260:15,16 262:8  
269:18 270:1 274:13  
284:2 309:9  
**understanding** 73:18  
113:1 117:3 185:10  
268:22 269:19 293:4  
**understands** 49:7 72:9  
72:10 255:13  
**understood** 285:18  
**underwater** 71:12  
193:6  
**underway** 151:14 190:8  
194:12 211:7  
**unfortunately** 179:17  
180:11 317:6  
**UNH** 32:2,9 143:11  
194:2,4 217:2 227:14  
**Unimak** 178:13 181:16  
**unique** 89:22 132:11  
273:7 279:14 286:16  
292:12  
**uniqueness** 291:10  
**United** 49:14 82:14  
147:15  
**units** 135:8 202:7  
**universally** 316:3  
**University** 167:17  
194:21  
**unknown** 141:4  
**unmanned** 57:6 60:1  
191:22  
**unmapped** 185:12,15  
186:20  
**unofficial** 196:13  
**untapped** 296:17  
**unusual** 94:4  
**upcoming** 190:6  
**update** 4:3 38:14,16  
41:3 177:18 179:8,22  
189:3 230:14 248:6  
252:3 263:21  
**updated** 69:9 221:10  
248:3

**updates** 4:10 11:16  
36:15 41:4 169:15,17  
177:20  
**updating** 177:22 207:15  
242:9  
**upgrade** 85:3  
**upped** 261:21  
**upper-level** 311:16  
**ups** 104:13  
**upset** 151:9  
**upsetting** 162:21  
**upside** 117:15  
**USACE** 245:19  
**usage** 200:20  
**USCG** 1:19  
**use** 8:3 13:4 27:5 43:7  
59:17 60:11 75:19  
76:1 81:17 105:21  
122:18 126:19 127:2  
127:10 131:2 143:8  
150:20 163:9,11  
165:9 166:10 184:4  
192:16 199:17,19  
227:9 246:8 247:2,16  
264:13 273:16 291:2  
303:1 309:9  
**useable** 57:1 298:22  
**useful** 145:6 148:7  
215:5 216:10,13  
**user** 52:2 143:9 279:6  
279:13  
**user-defined** 202:13  
**users** 67:22 127:9  
145:3 154:9 202:18  
207:5 258:14 272:9  
**uses** 42:1 131:1  
**USGS** 14:19,22 25:6  
26:14 35:4,8,15,17  
36:18,22 37:12 38:9  
39:2 203:20,21  
204:11 288:20 294:10  
295:16,21  
**USGS-led** 135:8  
**USM** 194:21 195:4  
**USN** 2:9  
**usual** 11:11  
**usually** 67:15 109:2  
118:12 201:4 256:9  
288:12  
**Utility** 104:13  
**utilization** 296:20  
**utilize** 44:15 297:16  
**Utqiagvik** 85:15

---

**V**


---

**V** 193:17  
**vacations** 205:20  
**Valdez** 72:13 101:10

**validation** 160:20  
206:12,16,19 245:21  
**valuable** 8:20 148:4  
203:19 257:9  
**value** 11:19 15:21  
125:15,18 158:14  
235:17 297:19 306:9  
313:11 314:2  
**varieties** 42:9  
**variety** 238:1  
**various** 124:9 134:17  
169:16 174:10 192:15  
218:22 289:10  
**varsity** 87:2  
**VDatum** 15:10 175:7  
311:7  
**vector** 199:12  
**vehicle** 29:7  
**vehicles** 193:6,11 220:1  
223:13  
**velocities** 217:6  
**venue** 145:8 315:3  
**verify** 84:16  
**Version** 193:17  
**versus** 30:16 222:14  
245:1 248:21 274:11  
300:15  
**vertical** 253:8 258:1  
259:10,16 278:4  
303:14 311:8,10  
**vessel** 56:22 66:13  
67:11 68:19 69:21  
76:8 78:2,3,19,20,21  
81:8,10,11 83:13,14  
93:9,14,17 104:2  
112:5 122:18 137:21  
138:7,9,12,21,22  
139:22 140:5,21  
141:17 196:18 197:6  
197:9 212:15 219:22  
229:7 231:7  
**vessels** 55:2 68:12 69:4  
72:21 75:13 79:2  
82:10,21 83:6,7 93:2  
93:3 94:16 96:3 99:1  
99:3,3,15 103:15,18  
113:4 117:8,9,16  
118:13,22 131:19,22  
137:13,19 138:15,18  
139:4 140:7,17  
191:22 192:11 195:13  
199:19 219:3 220:14  
222:16 227:21 228:1  
248:22  
**vested** 90:15  
**VHF** 69:6 132:3,4 147:7  
**viable** 106:11  
**Vice** 1:15 7:1 31:18

38:18 39:5,7 45:9,14  
45:18 46:8,11,20 47:3  
47:14 99:19 170:2  
176:17 181:22 188:8  
188:11,15 191:19  
198:9 199:5 202:22  
208:12 212:6 213:11  
217:21 218:2,6  
219:14,19 221:12,16  
223:8,11,15,18 224:4  
224:11,16 228:10  
230:4 233:10 240:10  
241:2,7,18 243:2  
257:14 262:3 264:8  
265:16 266:15,20  
267:6,10,15 268:8  
271:8 273:12 274:14  
277:22 278:11,16  
279:17 286:18 287:11  
289:20,22 290:7,12  
291:18 293:7,15  
295:4,9 296:3,6,12  
297:9 298:6 307:13  
311:3,12,15 312:12  
314:6 315:19 319:3,5  
319:17  
**Vicksburg** 231:19  
**video** 287:10  
**view** 24:11 74:12  
152:20 153:8 154:14  
154:15,16 223:19  
**village** 92:13  
**villages** 94:10 278:17  
**violate** 83:16  
**violates** 83:11  
**Virginia** 2:14 259:8  
267:14 268:10 276:9  
284:11 294:15 307:2  
**virtual** 83:1 128:15  
149:14 150:1,9,11  
**visible** 57:17,19  
**vision** 153:14  
**visions** 34:20  
**visit** 196:6  
**visited** 25:18  
**visiting** 11:2  
**visual** 144:17 149:15,17  
**visualization** 143:12,19  
144:2  
**vital** 64:2 69:14  
**Vitus** 227:8  
**voice** 51:1 53:14 59:13  
59:16  
**Volpe** 145:1  
**volumes** 91:17  
**voluntarily** 84:5  
**voluntary** 58:12 83:21  
**volunteer** 231:18

**volunteers** 94:12  
**vote** 68:3 218:20,22  
226:14 245:14,15  
246:1,5 248:1,4  
**voted** 219:2,3 220:14  
242:10,11 248:10  
**votes** 233:22 236:9  
239:3 244:2 245:9,11  
245:13,18,18,19,20  
245:22 246:2  
**voyage** 82:2 151:12  
**voyages** 82:2 199:17,20

---

**W**


---

**W** 1:12  
**wacky** 31:14  
**wager** 28:17  
**wait** 238:6 256:12 303:7  
**waiting** 34:7 61:9,9  
113:20 119:7  
**walking** 145:13,18  
**wall** 22:16  
**Walrus** 66:20  
**wanted** 27:11 31:12  
88:3 100:18 102:11  
107:17 109:10 110:15  
123:13,16 129:4  
156:11 159:20 160:19  
160:22 179:15 181:10  
220:13 226:2 228:15  
228:16 230:21 234:13  
236:10 238:9 240:5  
241:10 274:12 305:8  
**wanting** 149:2  
**wants** 158:18 161:6  
264:10 290:2 311:13  
**Wardwell** 124:14,16,17  
**warm** 108:10  
**warmer** 91:9  
**warning** 26:4 237:22  
**washed** 87:8  
**washing** 87:16  
**Washington** 232:19  
241:20,21 285:17  
**wasn't** 26:5 78:8 111:13  
141:2 161:20 212:22  
273:17  
**watch** 64:16 114:19  
222:20  
**watching** 84:12  
**water** 30:8,8 64:20,22  
77:1 78:9 87:4 98:20  
108:1,3 109:3 125:1,2  
177:5 180:19 185:22  
186:4,13,21 187:1,6,9  
187:22 188:2,3  
212:17,19 213:20  
227:22 229:8 272:2



273:21 275:14 281:9  
304:3 308:16 309:1  
**water-level** 237:17  
**waterfront** 53:22  
**waters** 43:9 64:2,19  
96:6,7 103:13 138:14  
**waterway** 50:9 62:8  
67:20 68:6,13,15,16  
**waterways** 3:15 49:11  
49:14 50:10 51:20  
52:2 54:13 57:18,19  
63:21 67:13,18  
**wave** 100:2 252:16,16  
**waved** 309:12  
**waves** 43:20  
**way** 14:14 16:2 23:3  
29:12 47:19 60:5  
62:18 67:7 75:9 88:2  
97:21 102:5 105:4  
115:16 127:6 131:14  
134:18 143:1,15  
144:3,18 147:21  
149:4 152:4,5 153:6,9  
153:11,13,17 154:2,4  
161:19 171:4,10  
188:1,10 190:14  
196:3 197:17 209:19  
211:2 212:2,11,18,21  
216:21 217:13 222:20  
224:6 225:14 226:2  
226:12,15 235:18  
240:18 241:2 247:13  
247:19 250:1 251:22  
253:13 254:14 256:18  
264:14,22 267:6  
268:9 273:7 277:11  
288:11 295:10,11,22  
298:20 307:18 310:7  
**ways** 6:10 8:21 9:9  
13:21 20:7,17 32:3  
34:16 42:9 70:17  
76:10 108:16 110:9  
146:4,8,11 147:17  
149:11 232:2 235:16  
297:15 309:2  
**wayside** 232:10  
**wealth** 148:12 226:15  
**weapons** 56:20 57:8  
**weather** 6:16,17 30:15  
30:16 46:1,2 82:4,7  
82:22 108:1,2,3 109:3  
130:5,21 131:9 154:5  
165:21 189:10 272:9  
272:14 299:2 315:4  
**web-** 202:11  
**webinar** 42:21 43:2  
97:5 122:6 126:7  
135:4 172:22

**webinars** 173:2,3  
246:11 265:8  
**website** 135:9 162:2  
**weeds** 258:17  
**week** 6:17 37:5 40:4  
93:13 183:21 191:1  
221:11,21 227:4  
258:11 286:6  
**weekend** 189:15  
**weeks** 20:2 115:20  
196:7 211:8 298:9  
**weigh** 127:9  
**welcome** 5:4 122:1  
135:14 263:11  
**welcoming** 271:12  
**well-aware** 205:12  
**well-known** 183:8  
**went** 31:10 62:3 104:9  
108:9 112:3 121:21  
148:2 161:5 169:22  
179:20 180:9,14  
194:7 247:4 319:20  
**weren't** 179:18 180:12  
219:11 265:1  
**west** 58:10  
**Western** 181:10,15  
**Weston** 239:7  
**wet** 25:5  
**Whale** 66:21  
**whaled** 62:1  
**Whaler** 87:11  
**whales** 83:9  
**whaling** 66:19 68:21  
120:4  
**white** 114:18 241:16  
308:14  
**who've** 206:7  
**whoever's** 240:20  
284:18  
**wide** 67:21 136:14  
238:1  
**wider** 185:22  
**wildlife** 139:13  
**William** 178:5  
**Willie** 3:15 4:6 54:4  
55:15 61:17 62:21  
63:4 71:3 77:2 88:15  
90:22 119:18  
**Willie's** 80:22  
**willing** 66:8 205:11  
211:14,14  
**Willis** 308:12  
**Willoughby** 1:12  
**Willy** 287:1,2,3  
**win-lose** 66:10  
**wind** 143:14  
**window** 11:17  
**windows** 115:1 314:18

**windshield** 11:18  
**Windward** 3:17 86:7  
**winter** 92:19  
**wired** 146:6  
**wish** 44:9  
**wonder** 170:14 217:3  
**wonderful** 22:16 255:18  
299:3 310:20  
**wondering** 113:7 209:7  
220:2 229:3 262:4  
**word** 58:21 160:19  
173:14 176:11 267:8  
283:10 300:17 307:3  
**wording** 281:22  
**words** 18:15 37:14  
239:13 254:11 286:20  
298:4 309:17  
**wordsmith** 268:1  
**wordsmithed** 284:9  
**wordsmithing** 254:10  
**work** 6:11 9:21 11:8  
13:13 19:3 30:5 31:10  
34:14 36:15 37:20  
38:10 39:4 44:17 45:5  
54:2 55:18 57:6 58:1  
62:6 66:8 68:22 70:10  
72:18,21 77:7 89:5  
91:10 97:16 100:16  
101:2 108:12 110:2  
110:11 116:8 119:11  
127:4,6 131:6 132:12  
132:17,19 146:10  
147:16 166:1 170:22  
172:14 174:15,17  
175:4 182:18 187:8  
188:3,5 193:22 194:1  
195:19 197:20 198:6  
201:5 218:7 237:5,15  
237:17 247:14 252:20  
257:7 286:22 293:10  
306:7,14 308:15  
309:13 314:3,3,7  
317:14  
**worked** 17:1 77:16,18  
88:9 96:8 98:16 105:8  
116:11 123:18 134:16  
134:22 193:12 288:13  
314:15,19 315:8  
**workforce** 29:17  
**working** 4:3,8,10 13:8  
21:8 30:7 34:3 35:2,9  
37:3,6 38:16 44:22  
47:22 56:15 61:16  
66:2 76:2 81:19 85:9  
85:15 100:11 122:12  
123:14 124:6,8,12  
132:7 135:17 136:2  
155:3,8 168:20

169:11 170:9 171:7  
174:11 182:6 184:12  
193:22 204:2 210:10  
211:2 212:14 225:13  
231:1 235:9 244:5  
249:13 253:16 258:2  
269:8,9 271:6 295:15  
319:9  
**works** 6:6 50:2 85:18  
101:14 132:17 187:22  
224:7  
**workshop** 207:18  
**workshops** 206:16  
**world** 58:1 64:4 65:3  
73:18,19,22 74:6,12  
74:16 75:3,4 97:11  
110:17 117:15 118:16  
178:14  
**worried** 130:12 137:10  
**worry** 171:3 197:5  
260:14,20 261:1  
**worth** 106:12 178:2  
277:19 306:5  
**worthwhile** 163:12  
**wouldn't** 13:5 131:6  
216:1,8 239:1 266:6  
269:7 277:20  
**wow** 249:11  
**wrap** 121:7  
**wrap-up** 59:10  
**wrapping** 206:12  
**wraps** 19:17  
**wreck** 78:2 183:16,16  
**wrestle** 210:5  
**wrestling** 132:22  
**write** 15:18 108:22  
220:19 225:8 245:2  
250:2 288:15  
**writing** 109:6 258:10  
261:12 284:12,18,19  
289:2  
**written** 65:21 123:20  
228:20 247:6 258:7  
266:13  
**wrong** 84:4,8 162:18,20  
168:18

---

**X**

---

**XM** 131:8

---

**Y**

---

**Y2K** 264:18  
**yard** 282:16  
**year** 25:10 35:17 49:1  
55:13 58:22 65:14,14  
68:10 76:17 86:16  
87:4 102:17 114:9  
116:14 125:8 128:12

178:19 179:7 181:3  
195:1,2,3,14 199:18  
209:7 211:9 213:5  
215:13 230:11,12  
231:13 243:4 259:12  
277:10

**year-old** 58:4

**years** 13:12 19:4 21:9  
22:15 32:21 33:1,7  
34:4,6 38:22 49:12  
52:19 56:2 64:8 71:6  
71:17 72:4,7 86:18  
88:4 105:9,16 112:17  
120:3,9 134:16  
168:22 171:14 177:2  
181:9 187:8 188:4  
192:12 193:5 195:20  
201:13 202:17 212:8  
213:13 237:4 244:18  
247:7 288:14 308:12

**yell** 87:13

**yellow-** 307:14

**yesterday** 6:1 7:4,12  
8:3 9:8 12:14 13:12  
14:7 15:7,20 24:22  
35:5,20 36:4 168:10  
179:10 193:15 197:10  
219:17 227:8

**yesterday's** 5:8

**York** 87:2 191:1 209:17  
210:1 211:1,5 306:10

**York-New** 210:8

**York/New** 191:3 236:20

**young** 97:18 106:6

**younger** 77:19

**yous** 267:2 305:11

307:9

**Yup'ik** 64:3

---

## Z

**Z-Boats** 193:14

**Zdenka** 308:12

**Zegowitz** 108:20

**zeros** 23:10

**Zodiac** 83:10

**Zoe** 8:4 12:8 29:21 86:9

**zone** 26:21,22 33:3 83:8

170:19 174:15 184:6

204:18,19

**zones** 213:6

---

## 0

---

## 1

**1,000** 104:7 186:13,18

187:1 199:10

**1,200** 200:10

**1,236** 199:12

**1.5** 129:1

**1:17** 170:1

**10** 18:17 115:1 178:12

187:8 201:13

**10:59** 121:21

**100** 27:6 179:12 180:3

297:5

**100,000** 305:21

**101(a)(5)(a)** 65:22

**107** 130:17

**11** 155:13,14

**11:17** 121:22

**11:50** 155:7

**110-megawatt** 76:11

**12** 200:19 219:1,2

**12:05** 169:22

**122** 4:7

**13** 75:12 140:12,22

**130** 200:11

**135** 4:9

**14** 140:13,22 141:6

174:1

**14th** 305:2

**15** 13:12

**16** 140:13,22 147:10

219:2

**160,000** 78:6

**17** 102:17

**170** 4:11

**176** 4:11

**18.6** 173:21

**182** 4:12

**188** 4:12

**19** 195:2,15

**1901** 179:13

**192** 4:13

**1920** 238:19

**1960s** 95:6

**1984** 48:22

**199** 4:14

**1990s** 200:13

**1992** 90:5

---

## 2

**2** 4:2 160:7,15 178:6

186:19,19 288:4

302:18 308:20

**2,000** 186:19

**2.1** 160:7

**2.4** 160:16

**20** 75:14 181:9 212:7

**200** 63:8,13 120:3,9

171:14 178:1 181:13

**2000** 178:1

**2007** 178:4

**2008** 178:5 179:13

**2009** 178:9

**2010** 178:1,10 179:20

192:12

**2010-2012** 204:12

**2011** 201:18

**2012** 66:14 178:15

**2014** 68:10

**2016** 180:9 190:16

251:10

**2017** 251:9

**2018** 1:9 174:19

**2019** 173:9 207:14

**2020** 207:14

**2022** 168:11 176:15

257:22 259:16,18

264:20

**203** 4:15

**2030** 41:4 184:2 187:13

187:15

**21** 103:18,19 140:14,22

**218** 4:20

**22** 140:15,22

**23** 181:7

**24** 33:2 178:12

**25** 86:18

**25-megawatt** 76:8

**25th** 25:10

**29** 259:10,12,15

---

## 3

**3** 288:4 302:18 308:21

**3,000** 199:16

**3:55** 319:20

**30** 1:9 49:12 111:5

112:17 180:6,14

216:5

**300** 87:3

**319** 4:22

**320** 1:12

**35** 71:6

**364** 128:11

**38** 173:21 185:15

**39** 4:3

**3D** 124:21 125:19 203:1

203:6 204:4,16

208:10 235:20

---

## 4

**40** 112:17 134:16

**400** 173:1 188:4

**420s** 87:9

**44** 178:9 186:7

**46** 186:9

**47** 178:4

**48** 62:2 105:19 131:7

---

## 5

**5** 4:2

**50** 4:5 137:21 138:22

237:12 316:11

**500** 199:15

**51** 178:5

**57** 4:6

---

## 6

**6** 200:20

**6,800** 63:17 119:19

**600** 193:7

**65-** 76:10

---

## 7

**70** 181:11

**71** 252:16

---

## 8

**8** 219:2

**80** 317:15

**80%** 74:15

**86** 4:6

**88** 259:15

---

## 9

**9** 140:11,22

**9,000** 201:11

**9:00** 1:12

**9:01** 5:2

**90** 138:6

**900** 206:2

**99** 187:5

**99%** 141:11

C E R T I F I C A T E

This is to certify that the foregoing transcript

In the matter of: Hydrographic Services Review Panel

Before: DOC/NOAA

Date: 08-30-18

Place: Juneau, AK

was duly recorded and accurately transcribed under  
my direction; further, that said transcript is a  
true and accurate record of the proceedings.



-----  
Court Reporter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701