

NATIONAL OCEANIC AND ATMOSPHERIC ADMINISTRATION

HYDROGRAPHIC SERVICES REVIEW PANEL

PUBLIC MEETING

DAY 2 - VOLUME I

LOCATION:

PAGES 1-129

Marriot Providence

1 Orms Street

Providence, Rhode Island 02904

Acting Chair: Ed Welch

Vice Chair: Ed Welch

May 6, 2010

8:33 a.m. - 4:46 p.m.

## 1 P R O C E E D I N G S

2 ED WELCH: Good morning. Let's welcome  
3 everybody to the second day of meeting of the  
4 Hydrographic Services Review Panel, a NOAA  
5 Federal Advisory Committee.

6 And I think we had a productive day  
7 yesterday with our public witnesses and  
8 speakers from NOAA and interchanges among  
9 ourselves, so we'll prepare to look forward to  
10 a second day of good information.

11 We've got a few administrative things to  
12 take care of, and one of them is some of you  
13 are like me, who have forgotten completely to  
14 fill out Tiffany's reimbursement form in our  
15 blue folders, but it's really important for us  
16 to do that before we get out of here today.

17 So Tiffany is over on the side, and let's  
18 all make sure she doesn't have to track us  
19 down.

20 Secondly, Kathy wanted me to announce that  
21 many of the presentations that we had  
22 yesterday, the PowerPoints and other items, are  
23 already up on the HSRP webpage, and several  
24 that aren't up there will be up there soon, so

1 that's a good resource.

2 And third, Kathy wanted me to announce  
3 some other thing, but I've forgotten what it  
4 was, so Kathy -- I told you I was going to call  
5 on you, Kathy.

6 KATHY WATSON: It's for the public  
7 attendees. If you haven't signed in, please do  
8 so. Thank you.

9 ED WELCH: That's good, Kathy.

10 Are there any other administrative things  
11 from Kathy?

12 KATHY WATSON: No, sir.

13 ED WELCH: Or anybody else? Okay. We --  
14 we're delighted that Juliana Blackwell is  
15 today's designated federal official.

16 Juliana, do you have anything you would  
17 like to bring to our attention?

18 JULIANA BLACKWELL: No. I just wanted to  
19 thank everybody for their participation  
20 yesterday and look forward to today's  
21 discussion topics, and just to restate the fact  
22 that I'm just acting on behalf of Captain  
23 Lowell for the remainder of this meeting.

24 Thank you.

1 ED WELCH: You seem real hesitant about  
2 the possibility of this roll becoming a little  
3 bit more extended.

4 Our first item of business is sort of a  
5 recap and a review of yesterday and to talk  
6 about some of the recommendations. And I  
7 assume that means the recommendations that we  
8 might be making in our report to the  
9 administrator.

10 So I don't really propose to go through  
11 yesterday's schedule and go through a list of  
12 everything we did yesterday, but I guess at  
13 this point, I would open it up for any kind of  
14 comments or questions from panel members about  
15 is there something that we did yesterday that  
16 needs a little bit further discussion or upon  
17 reflection at the restaurant or the bar last  
18 night people want to get into in a little bit  
19 more detail?

20 Larry Whiting was reflecting and  
21 contemplating.

22 LARRY WHITING: Yes, Larry Whiting.

23 I have copies of a couple of bills that  
24 have been presented in the sentence -- the

1 Senate, not the "sentence," but that were  
2 presented by Mark Beneche [phonetic] and Lisa  
3 Merkowski [phonetic].

4 They're a little bit longer and are being  
5 printed off that relate to the testimony today.  
6 They'll be coming in soon.

7 ED WELCH: And do these have to do with  
8 hydrographic activities in the northern  
9 regions?

10 LARRY WHITING: Correct.

11 ED WELCH: Very good.

12 Other comments?

13 Matt Wellslager.

14 MATT WELLSLAGER: Thank you, Ed.

15 Was this the time to bring up the  
16 possibility of discussing some modifications to  
17 the most recommended --

18 ED WELCH: Actually, I think we're going  
19 to get into that a little bit later as a  
20 separate agenda item, so if -- I mean, if you  
21 really want to now, but --

22 MATT WELLSLAGER: No, no, no.

23 ED WELCH: -- there will be an opportunity  
24 a bit down the road.

1           Anybody else? Because otherwise, we'll  
2 just get ahead of schedule.

3           Yes, Elaine.

4           ELAINE DICKINSON: Elaine Dickinson.

5           I just wanted to bring your attention to a  
6 new initiative that relates to charting that  
7 there's a small group of us that have gotten  
8 involved in it and we didn't have a chance to  
9 talk about it yesterday, and Captain Lowell  
10 didn't mention it, but we've formed this -- we  
11 call it the Alliance for Safe Navigation, and  
12 it's a public outreach and education effort to  
13 get recreational boaters to focus more on not  
14 only carrying charts but also carrying  
15 up-to-date charts and making sure the charts  
16 they have, whether they're paper or electronic,  
17 are fully updated.

18           And the partners, which include NOAA, they  
19 have very graciously agreed to sponsor this  
20 alliance. It's NOAA, BoatUS, the US Power  
21 Squadron, Jeppesen Marine, which we have Ken  
22 Cirillo here representing Jeppesen,  
23 OceanGraphix, the print-on-demand provider for  
24 NOAA and the Sea Tow Foundation

1           And so far what the Alliance has done in  
2 press releases announcing its formation is we  
3 put up a website, and the website is  
4 allianceforsafenavigation.org, and it's all  
5 tailored towards boaters.

6           You can go to that site and plug in  
7 whatever chart number you -- you are most  
8 familiar with that you use. You click on it,  
9 and it will tell you how many updates there are  
10 to that chart so you can see right away that  
11 what your carrying might be really, really  
12 outdated and it's time to get a new one.

13           The next thing we're going to do is do a  
14 survey of recreational inventories and ask them  
15 in greater detail what kind of equipment they  
16 carry, whether it's electronic or what kind of  
17 paper charts they carry, whether they're NOAA  
18 charts, chart kits, chart booklets, whatever.

19           So it will be interesting to see what the  
20 results are that we get from that survey.

21           There was an announcement from NOAA that  
22 there's a press release that they put out, it's  
23 probably on their website, and anyone who wants  
24 to put up a link to this site is welcome to do

1 it. Or if you have any discussions of any  
2 other material we can put on the website, that  
3 would be good, too.

4 We're just trying to get more publicity  
5 for it so more people will be aware of this  
6 issue.

7 And also, Ken Cirillo wrote a great white  
8 paper report on why outdated charts are a  
9 problem, basically, for your safety

10 So that's my infomercial.

11 ED WELCH: It's a good one, thanks.

12 Do you know when the survey will take  
13 place and be compiled?

14 ELAINE DICKINSON: It should be very  
15 shortly, because I understand -- since I've  
16 been here, the final wording of the questions  
17 was sent to the group, so I think it's pretty  
18 much ready to go.

19 And when I get back, I'll get it posted on  
20 BoatUS.com, which we will retract and make some  
21 response.

22 ED WELCH: Maybe at our next meeting you  
23 could have a couple of minutes like this and  
24 give us whatever you found out in the survey.

1           Admiral West.

2           ADMIRAL WEST: I was going to mention this  
3 later when we talk about the next meeting, but  
4 this related to what Elaine talked about.

5           I think this group ought to take a look at  
6 technology is outpacing our ability to use it  
7 and creating accidents.

8           Three or four meetings ago I mentioned  
9 that I attended a navigation conference at  
10 Kings Point, and the deputy director of  
11 National Transportation Safety Board gave a  
12 presentation on accidents caused by too much  
13 technology, people not understanding how to use  
14 it.

15           He was an aviator, but he did it across  
16 the board. It was really good. And I think I  
17 suggested that we have him one time, and I  
18 don't think that we ever did.

19           But we may want to consider a theme for  
20 one of our future meetings. Doesn't have to be  
21 the whole meeting, but maybe half a day, on  
22 what -- is there a responsibility of the  
23 federal government when they provide this  
24 technology to provide equivalent training so

1 people don't get themselves in trouble, or  
2 something along that line.

3 And I think that's what Elaine is doing  
4 with the small boating community. But is the  
5 federal government responsible?

6 They flipped the switch on LORAN Charlie  
7 [phonetic] one February, I think it was. And,  
8 you know, I knew what that meant, but I'm not  
9 sure a lot of people knew what that meant. I  
10 heard yesterday -- I think they talked about  
11 somebody flipped a chart and went from LORAN to  
12 GPS and got themselves in trouble.

13 So think the federal government has to  
14 think a little bit more about that as it  
15 pertains to navigation safety.

16 So maybe a half-a-day theme out at  
17 Portland, maybe, to take a look at this and  
18 maybe lead off with what Elaine's doing and see  
19 if that applies across the board or something.

20 Anyways, think about it.

21 ED WELCH: Okay. Thank you.

22 Any other --

23 ADMIRAL WEST: I would like to get that  
24 presentation -- somebody from the NTS give

1 that. It's really an interesting, fascinating  
2 presentation.

3 ED WELCH: Okay. Good suggestion. We'll  
4 see if we can follow up on that.

5 Any other comments or suggestions reacting  
6 to Elaine's information or Admiral West's  
7 comment on that?

8 Okay. Well, I think, then, we're prepared  
9 to go into our first presenter, so I'd like to  
10 welcome Adrienne Harrison from NOAA's Coastal  
11 Service Center in New Hampshire. Are you in  
12 Portsmouth?

13 ADRIANNE HARRISON: In Durham, New  
14 Hampshire.

15 ED WELCH: Okay.

16 And she's going to talk about the sea  
17 level rise and the climate. Thank you,  
18 welcome.

19 ADRIANNE HARRISON: Well, good morning.  
20 Thank you for having me here. My name is  
21 Adrian Harrison. And I'm with the NOAA Coastal  
22 Services Centers Northeast region based out of  
23 the University of New Hampshire.

24 And I serve as the coastal climate

1 adaptation lead up here.

2 So today I'll be reviewing some of the sea  
3 level rise information products and services  
4 available through NOAA and it's partners.

5 I'll also describe some of the planning  
6 challenges faced by NOAA customers and the  
7 decision support products available to improve  
8 the adaptive capacity of the coastal states and  
9 local communities.

10 Next slide.

11 Oh, one quick note. Although the Coastal  
12 Services Center's logo is on this presentation,  
13 a lot of the products and information come from  
14 throughout the agency. So if you have  
15 questions on where specifically within NOAA  
16 this information is housed, let me know.

17 So why does any NOAA provide sea level  
18 rise services? In addition to it being a  
19 pretty hot topic right now, NOAA has a  
20 legislatively mandated responsibility to  
21 provide climate-related services.

22 And the Coastal Zone Management Act  
23 specifically requires NOAA to look into sea  
24 level rise products and services.

1           In addition, we conduct needs assessments  
2 and solicit stakeholder input to drive the  
3 development of our sea level rise products.  
4 Data and tools related to climate adaptation  
5 planning and sea level rise are consistently  
6 ranked high among coastal managers, so we've  
7 put a particular focus there.

8           Next slide.

9           There are a number of factors that  
10 contribute to changes in sea level. There are  
11 short-term variations that we see on a daily  
12 basis. These include things like waves, tides  
13 or specific flooding events, like hurricanes or  
14 other coastal storms.

15           There are longer-term variations as well.  
16 These occur on a monthly to several-year  
17 variation scale. We need monitoring systems to  
18 detect these changes, things like changes in  
19 coastal and ocean circulation, as well as  
20 vertical land motion.

21           Sea level is particularly influenced by  
22 changes in temperature. So as temperature  
23 rises, the ocean warms, and the water -- the  
24 volume of water expands.

1 Thermal expansion is the primarily source  
2 of sea level rise discussed in the fourth  
3 report of the IPCC.

4 Sea level be also be influenced by the  
5 addition of fresh water, such as the input from  
6 melting glaciers.

7 Next slide.

8 NOAA plays a vital role in measuring sea  
9 level change. In-situ gauges collect the  
10 actual water levels, and NOAA has over 150  
11 years of tide and water level data. This helps  
12 us illustrate the trends both locally and  
13 globally at sea level.

14 Next slide.

15 This slide shows the sea level trends for  
16 North America. Worldwide sea level has risen  
17 about 20 centimeters during the past century.

18 The rate of sea level rise during the 20th  
19 century has been nearly two millimeters per  
20 year.

21 This is an order of magnitude higher than  
22 the average over the last several millennia.

23 Next slide.

24 And this is a specific sea level trend for

1 here in Providence. The Providence trend is  
2 based on monthly sea level data from 1938 until  
3 2006. And observations show that Providence  
4 has seen the equivalent of .64 feet in 100  
5 years.

6 This is important to note. Providence has  
7 seen sea level rise. They've been adapting to  
8 it along the way.

9 Next slide.

10 This slide shows the historic and the  
11 projected rate of sea level rise. On the left,  
12 you see that sea level was relatively stable  
13 during the development of modern society.

14 In the mid 1800s -- oh, actually, this one  
15 has multiple parts. Can you just click a few?  
16 Maybe a couple more. I'll just get them all  
17 out of the way.

18 VIRGINIA DENTLER: Okay. One more?

19 ADRIANNE HARRISON: Yes. I think that's  
20 it. Okay.

21 So on the left you can see relatively  
22 stable. In the mid 1800s, NOAA began measuring  
23 with the in situ gauges and then in the late  
24 1900s with satellite data.

1           On the right you see the familiar  
2     projections from the IPCC reports. Sea level  
3     is currently tracking at the upper level  
4     projection.

5           Again, current satellite observations show  
6     that sea level rise is rising at a rate nearly  
7     twice as fast as the tide gauge measured rate.

8           Next slide.

9           So I just described some of the  
10    information and products and services that NOAA  
11    uses to estimate current and projected sea  
12    level rise.

13          It may look fairly straightforward. Sea  
14    levels are trending upwards in the Northeast  
15    region, and that's based on a variety of  
16    observations, models and factors

17          But when we try to translate this into the  
18    planning world, it becomes a little more  
19    challenging.

20          In the next few slides, I will outline a  
21    few challenges faced by coastal states and the  
22    local communities. They are an uncertain  
23    future, of course, an overwhelming sense of  
24    vulnerability and financial constraints.

1           Before I leave this slide, though, this is  
2 a picture of Cape Cod or a barrier beach off  
3 Cape Cod.

4           Cape Cod is really on the front lines of  
5 sea level rise. This was recently separated  
6 into two when currents pushed through the  
7 sandbar. And believe it or not, homes were  
8 once located on this barrier beach.

9           So this is just one example of the types  
10 of uncertainty and vulnerabilities coastal  
11 communities are facing in Massachusetts.

12           Next slide.

13           Okay. Uncertain future. There are really  
14 three primary sources of uncertainty when we're  
15 talking about climate data and information.

16           The first is future emissions. Greenhouse  
17 gas emission scenarios are directly linked to  
18 human choices, and we do not know that human  
19 behavior -- if it will change in the future and  
20 how it will change, and therefore we don't know  
21 what level of emissions to expect in the  
22 future.

23           Second, we can use models to help us  
24 understand how natural ecosystems will respond

1 to climate change. But much like in Cape Cod,  
2 we don't -- we're having a tough time  
3 predicting when the ecosystems will reach a  
4 point of no return.

5 And third, it's difficult to quantify the  
6 impacts to the natural and human systems, and  
7 so this uncertainty is an area of rapidly  
8 growing research. And socioeconomic  
9 information in particular is a top need for  
10 know NOAA customers.

11 Next slide.

12 Vulnerabilities cities and states face  
13 from sea level rise are not really that  
14 different from the vulnerabilities that they're  
15 assessing on a regular basis to coastal storms  
16 like hurricanes and Nor'easters.

17 The vulnerability from a human and  
18 economic standpoint is the highly developed and  
19 densely populated coastline that characterizes  
20 the Northeast.

21 What is different about the  
22 vulnerabilities related to sea level rise is  
23 the substantial increase in the extent and  
24 frequency of coastal flooding, as well as the

1 increased risk from severe storm-related  
2 damage.

3 Rhode Island is another good example. We  
4 here recently experienced an extreme flooding  
5 event. And what's significant about this past  
6 flooding event is that it affected areas that  
7 had literally never seen flooding before.

8 So the challenge now becomes how to  
9 prepare for flooding and associated impacts in  
10 places with no historic record of flooding, and  
11 that's what we're trying to get across with an  
12 increase in sea level.

13 I will talk in detail about some of the  
14 tools and approaches NOAA is facilitating to  
15 assist states with sea level rise planning in a  
16 few minutes.

17 Next.

18 So I just wanted to quickly touch on  
19 financial constraints. We all know that  
20 budgets are falling short across the spectrum  
21 of government. This makes it difficult for  
22 decision-makers to provide funding to climate  
23 change mitigation or adaptation activities when  
24 they're facing cuts to essential services like

1 education and healthcare.

2 So it's really important to provide data  
3 that supports the idea that costs of inaction  
4 are more expensive than those of adaptation or  
5 mitigation.

6 This is an important economic factor to  
7 express when you're communicating with  
8 decision-makers.

9 In addition to the avoided cost  
10 information, information on avoided  
11 consequences is needed to support the kind of  
12 precautionary decisions that we're asking of  
13 states and local communities.

14 Next slide.

15 Okay. So this is the first of four short  
16 examples of states and communities using NOAA  
17 programs and services to plan for sea level  
18 rise.

19 This is a sea level rise policy adopted by  
20 Rhode Island's Coastal Resource Management  
21 Council in 2008. CRMC is the NOAA-approved  
22 coastal management program for Rhode Island.

23 And Rhode Island policy states that for  
24 planning and management purposes, it will

1 accommodate a base rate of an expected three-  
2 to five-foot rise in sea level by 2100.

3 This is pretty progressive. This is  
4 tracking with the upper-level projections of  
5 the IPCC report. And to implement this policy,  
6 CRMC is working with the state building  
7 commissioner to adopt freeboard calculations  
8 that account for a sea level rise of three to  
9 five feet.

10 Freeboard is the additional base height of  
11 a structure above the FEMA that flood level.

12 So here you see the draft freeboard design  
13 recommendations. You can see that for public  
14 infrastructure, they require the maximum amount  
15 of freeboard, the maximum amount of protection.

16 This is because of the relatively long  
17 lifespan of this infrastructure, as well as the  
18 public investment that's represented.

19 Private property, residences, homes, they  
20 fall in the middle, somewhere around three feet  
21 of additional freeboard.

22 And accessory structures, like sheds and  
23 garages, those are the least protected because  
24 of their relatively short lifespan.

1           So this represents one opportunity to use  
2 coastal policy to build in added protection for  
3 anticipated sea level rise and its impacts.

4           Next slide.

5           This example is an image of Boston that  
6 visualizes the inland extent of sea level rise  
7 scenarios.

8           Boston can expect the coastal flooding  
9 equivalent to today's 100-year flood event  
10 every two to four years by mid-century and  
11 annually by the end of the century.

12           So these images are showing up in cities  
13 across the country to communicate the increased  
14 flood risk associated with sea level rise.

15           The blue hatched area is the current FEMA  
16 100-year flood plan, and the lighter blue area  
17 is the 100-year flood zone under a higher  
18 emission scenario.

19           Next slide.

20           Delaware is also using NOAA services to  
21 help visualize sea level rise impacts and  
22 develop a statewide sea level rise adaptation  
23 plan. This project is in partnership with  
24 NOAA, the Delaware Department of Natural

1 Resources and USGS.

2 The dark blue represents current rivers in  
3 the Wilmington, Delaware area, and the light  
4 blue area represents areas that are expected to  
5 be inundated under four feet of sea level rise.

6 The yellow place marks, those represent  
7 local stories about impacts of inundation.

8 Next slide.

9 The place marks feature is something new,  
10 and that makes the impacts more relatable for  
11 people who might not understand or appreciate  
12 the implications of data shown on a map.

13 This example shows an area that habitually  
14 floods today just south of the Christina River,  
15 and this type of disruptive flooding can be  
16 expected to become more common in low-lying  
17 areas as sea level rises.

18 Next slide.

19 This is the final example. It's another  
20 visualization tool. I guess it's kind of  
21 telling visualization is kind of the thing  
22 right now. This tool is developed in  
23 partnership by USDA and NOAA.

24 Our CanVis assists with visualization of

1 changes to existing environment. The  
2 University of Rhode Island has used CanVis to  
3 show the new high tide marks under a three-foot  
4 rise scenario for various landmarks throughout  
5 Rhode Island.

6 And this is a picture of Providence  
7 Waterfront Park near Providence Place Mall.

8 Next slide.

9 And you can see using the CanVis software,  
10 they have been able to model a three-foot sea  
11 level rise at a high tide and then also at the  
12 highest spring tide event.

13 You'll notice that the pedestrian bridge  
14 becomes wet under spring high tide at three  
15 feet of sea level rise.

16 Next slide.

17 So I hope this presentation has  
18 highlighted the various ways that NOAA is  
19 enhancing our ability to understand and plan  
20 for sea level rise.

21 It was a brief introduction to the data,  
22 the tools that we have available, and I'm happy  
23 to take any questions at this time.

24 ED WELCH: Okay, thanks.

1           Comments or questions from -- Gary  
2    Jeffress.

3           GARY JEFFRESS:  Thanks, Ed.  Gary  
4    Jeffress.

5           This freeboard height you mentioned is  
6    freeboard above what?

7           ADRIANNE HARRISON:  The base FEMA flood  
8    elevation.

9           GARY JEFFRESS:  Which we all know is  
10   completely wrong.

11          ADRIANNE HARRISON:  Yes.

12          Well, we always have to make decisions  
13   with the best information we have available.  
14   It's -- it's something that FEMA is definitely  
15   working to remedy, but you're right.

16          And so when we're adding on to the base  
17   level, maybe we shouldn't necessarily use the  
18   IPCC projections.  Maybe we should be a little  
19   more progressive in thinking.

20          GARY JEFFRESS:  I'd just like to point out  
21   that a lot of the topography used for these  
22   inundation maps is probably coming from USGS  
23   quad sheets.

24          If you look at the vertical datums for

1 those quad sheets, it was established in 1929,  
2 which makes -- you know, mean sea level back in  
3 1929 was substantially lower than what it is  
4 now. And coupled with the fact if you had a  
5 more modern tide gauge where the latest datums  
6 were computed for the EPOC ending in 2001, and  
7 that was a 19-year average, right, if you have  
8 an increasing sea level, it's a -- a linear  
9 increase.

10 Over that 19-year period, you're taking  
11 the mean, which is going to be eight and a half  
12 years before the 2001.

13 So you're continuously using a datum  
14 that's lower than the actual sea level.

15 ADRIANNE HARRISON: You're right.

16 You've hit on a significant issue with the  
17 types of mapping that's being done now.

18 The vertical datums don't match up. It's  
19 something we're working, I think, with USGS and  
20 other agencies to rectify.

21 But right now, again, it's the best  
22 available information, and that's what we're  
23 trying to showcase to our states and local  
24 communities.

1           But you're right, that is a significant  
2 technical issue.

3           ED WELCH:   Juliana.

4           JULIANA BLACKWELL:   Adrienne, I'm the  
5 director of National Geodetic Survey. I know  
6 that we're working with CSC to highlight a lot  
7 of these issues related to the datums where  
8 these products are being derived from.

9           So the NG-29, the work with FEMA and the  
10 USGS, all of our offices are trying to make as  
11 much progress as possible to alert individuals  
12 about, you know, what's the accuracy of the  
13 data that they're currently using and the fact  
14 that the datums may be older; but in addition  
15 to that, really getting new information and  
16 making sure that the heights are current and  
17 relating them to the National Spatial Reference  
18 System are things that we need to do and  
19 communicate to all of the individuals that are  
20 putting together these types of products and  
21 visualization tools.

22           So I know we're going to continue to work  
23 together in doing that not only internally at  
24 NOAA but also at USGS and FEMA. So just

1 continue to keep that in mind, and you'll hear  
2 more about this later when I talk about the  
3 tools like CORS and GRAV-D and new ways of  
4 measuring and providing accurate heights for  
5 these types of efforts.

6 Thank you.

7 ADRIANNE HARRISON: In addition to  
8 heights, you know, another issue is coastal  
9 erosion.

10 I know in Maine they just completed a  
11 unified shoreline data layer for the Portland  
12 Casco Bay area, and they found that their high  
13 tide line was several feet off because of the  
14 erosion that has occurred over the years.

15 And so in addition to knowing the right  
16 height, you also have to know where the  
17 shoreline actually is, which is different than  
18 a lot of our older pictures.

19 ED WELCH: Adrienne, it sounds like to me  
20 that your work and your people's work are  
21 basically taking the data that's compiled by  
22 other folks, Juliana's and other sources, and  
23 then modeling it and manipulating it and that  
24 kind of thing, but you all are not data

1 collectors -- primary data collectors yourself.

2 Is that an accurate statement?

3 ADRIANNE HARRISON: The Coastal Services  
4 Center is not a data collector, but there are  
5 other parts of the National Ocean Service,  
6 including NGS, that is a data collector. And  
7 CO-OPS, they are a data collector. They're the  
8 ones responsible for --

9 ED WELCH: So we mentioned a couple of  
10 types of the data that you use, the material  
11 that's produced by the National Geodetic  
12 Service and the FEMA maps, to what extent  
13 they're useful or not.

14 But what are the other primary data  
15 sources that you all use?

16 ADRIANNE HARRISON: Well, for a lot of the  
17 mapping products we also use LiDAR.

18 LiDAR is kind of a -- is a satellite or an  
19 imagery, a photographic imagery source of data  
20 that states are really clamoring for  
21 high-resolution LiDAR.

22 And this is used as kind of the base  
23 information for a lot of our mapping efforts to  
24 get elevations, change in elevations.

1 ED WELCH: Okay, good.

2 Dr. Dionne, I know you wanted to ask a  
3 question. If you hold off just a second, let's  
4 just make sure the panelists have their  
5 chances, and then time permitting, we'll  
6 acknowledge you.

7 DR. MICHELE DIONNE: Thank you.

8 ED WELCH: John.

9 JONATHAN DASLER: Jon Dasler.

10 Adrienne, I guess what's a little  
11 concerning was the tables where you're actually  
12 setting heights above the base where people  
13 should be designing to, so is there metadata  
14 that's provided with that, any kind of  
15 uncertainties, so they know where the source of  
16 that information is coming from?

17 ADRIANNE HARRISON: Where the source of  
18 their recommended freeboard design?

19 Well, in their policy, they have stated  
20 that they want to accommodate three to five  
21 feet. So they're using, you know, recommended  
22 resources like IPCC, the backup, that estimate.

23 As far as metadata, they're -- it's not  
24 something that metadata really applies to as

1 far as designing these calculations.

2 If you want to put it into a mapping  
3 context to begin to showing what this height  
4 looks like relative to existing buildings, then  
5 maybe metadata would come into that play, but I  
6 don't believe they've gone down that road of  
7 actually visualizing what the freeboard looks  
8 like.

9 JONATHAN DASLER: It even seems like  
10 visualization maps should have some link to  
11 metadata and what's supporting that  
12 visualization.

13 ADRIANNE HARRISON: Yes.

14 And those maps, yes, there is metadata  
15 associated with them. And, you know, the  
16 process of how they arrived at that particular  
17 image at that time is available so that can be  
18 replicated by other organizations.

19 ED WELCH: Other comments? Questions?  
20 Juliana.

21 JULIANA BLACKWELL: Just a comment on --  
22 having the metadata is important. I think it's  
23 also important to have disclaimers about the  
24 metadata, especially if it's something that's

1 been collected to a previous -- an older datum  
2 or collected 50 years ago, because people that  
3 are using this information don't necessarily  
4 assume that the --

5       They don't know. They don't know about  
6 those older datums. They don't understand  
7 where they came from.

8       So I think we, NOAA, could do a better job  
9 of making sure the disclaimers are put on this  
10 just to alert users of it.

11       The other thing I wanted to mention in  
12 respect to the LiDAR and use of that technology  
13 is also -- it's fantastic technology, but the  
14 use of that for higher-resolution should also  
15 be coupled with the use of it and use for  
16 accurate positioning of the aircraft, as well  
17 as ground control so that the data that are  
18 collected are collected to an updated datum.

19       And that metadata and that information  
20 about the accuracy of that is also part of that  
21 dataset.

22       So having the standards, the  
23 specifications and the need for the ground, the  
24 geodetic control, are very important aspects of

1 the LiDAR collect, not just the use of the  
2 technology without perspective.

3 Thank you.

4 ED WELCH: Gary Jeffress.

5 GARY JEFFRESS: I'd just like to add a  
6 little bit about the LiDAR technology.

7 LiDAR is an really cool topographic  
8 mapping tool; but again, problems Juliana just  
9 pointed out with using the correct vertical  
10 control to manage that data in the vertical  
11 sense.

12 There is no federal standard for LiDAR  
13 mapping. It's fairly new technology, and  
14 there's no set standard like there was a  
15 standard for the USDA flood sheets which have  
16 been in place a long time. There's no federal  
17 standard for LiDAR mapping.

18 And this is something the Corps of  
19 Engineers is concerned about. They've had  
20 meetings with the American Society of  
21 Photogrammetry and Remote Sensing.

22 And various agencies that conduct LiDAR  
23 mapping and one of the leading ones is at the  
24 University of Texas in Austin, Bureau of

1 Economic Geology.

2 And they cannot -- well, we have not yet  
3 arrived at a standard for LiDAR mapping. And  
4 my understanding is that that mapping is unable  
5 to -- if you do everything correctly and have  
6 very good control, it's about accurate to about  
7 a foot.

8 And so that's a third of what we're  
9 looking at as the, you know, one century of sea  
10 level rise, which is really not accurate enough  
11 to, like, dictate a floor level relative to sea  
12 level.

13 So you really need an on-the-ground  
14 leveling survey to get those sorts of  
15 accuracies. But we do not have the  
16 infrastructure for that anymore because it's so  
17 old and has not been maintained. We're relying  
18 on GPS now. That has problems as well.

19 So we have a bit of a dilemma moving from  
20 the old technology of using accurate benchmarks  
21 on the ground which have disappeared and using  
22 the new technology of GPS. Okay?

23 And we're in this gray area, and the  
24 accuracies aren't what we would like.

1 I'm just pointing that out as a warning.

2 Again, vertical measurement is critical, but  
3 it's not accurate enough right now.

4 ED WELCH: Thanks, Gary. Other panel  
5 members?

6 Okay. We may have a couple of situations  
7 as the day wears on where some of our guests  
8 would like to make a comment or react to  
9 something one of our speakers has said, and  
10 unless the panel tells me otherwise, what I'll  
11 do is acknowledge those folks if time permits.

12 Is that all right? Okay. Dr. Dionne,  
13 you're on, but come up to the mike, please.

14 DR. MICHELE DIONNE: Okay.

15 I just wanted to make a quick comment  
16 about the information you presented about  
17 flooding and the recent flood in Providence.  
18 And I think up in Maine we're having similar  
19 situations every other year or so.

20 This is from extreme precipitation events.  
21 And one thing that we try to stress -- because  
22 we think about not just the tidal areas but the  
23 entire coastal watershed -- that the way we've  
24 changed the physical features of our landscape

1 really exacerbate any kind of extreme  
2 precipitation.

3       So that's just another thing that people  
4 should be aware of, that the problem isn't all  
5 on the coast, but it's how we're clearing the  
6 land and making it much less receptive to  
7 rainfall.

8       And then just a comment that occurred to  
9 me while we're talking about the vertical  
10 control issues and averages of sea level, sea  
11 level actually varies annually. So even though  
12 there's a nice linear trend that you can --  
13 just another level of variation that we all  
14 have to be thinking about in dealing with. It  
15 can go up or down from year to year.

16       So just something else we need to think  
17 about. Thanks.

18       ADRIANNE HARRISON: Yes.

19       We tend to smooth the curve to make it  
20 look pretty, but most of the pictures actually  
21 look like you were mentioning.

22       DR. MICHELE DIONNE: Yes.

23       ED WELCH: Okay. Thanks.

24       Any other comments?

1 I was interested in the way you inserted  
2 the last slides of Providence and the changes  
3 at Providence.

4 We're scheduled to run to about 5:00 in  
5 this hotel. Are we going to be okay?

6 ADRIANNE HARRISON: You should be okay.  
7 It's pretty clear outside. Thank you.

8 ED WELCH: Adrienne, do you have any  
9 concluding remarks?

10 ADRIANNE HARRISON: No.

11 I think, you know, a lot of the comments  
12 have pointed out some of the continued  
13 challenges on -- on the NOAA side of providing  
14 the most accurate data and information and  
15 improving the technology to improve the  
16 information.

17 But we also with our interactions with  
18 coastal managers are trying to stress that this  
19 is the best we have now. Let's, you know,  
20 continue to push forward; and as we get new  
21 data, we'll revisit the decisions we have made  
22 today.

23 ED WELCH: Thanks very much for your  
24 presentation.

1           ADRIANNE HARRISON: Thank you.

2           ED WELCH: Okay.

3           I'm going to turn to Tom Skinner --  
4 whoops, wait a minute.

5           Kathy?

6           KATHY WATSON: Excuse me, Ed.

7           Could I make a quick suggestion for the  
8 speakers? Please try to speak into the  
9 microphone so the court reporter can hear what  
10 you're saying.

11          Thank you.

12          ED WELCH: Thanks, Kathy. I guess that  
13 goes for panelists, too.

14          KATHY WATSON: Yes, yes.

15          ED WELCH: Okay.

16          Tom, I will recognize you if you promise  
17 to speak into the mike.

18          TOM SKINNER: Thank you, Mr. Chair.

19          One thing, a few minutes to introduce Mark  
20 Borrelli. First of all, make the panel aware  
21 that both Admiral West and I are on the board  
22 of directors of the Provincetown Center for  
23 Coastal Studies where Mark works.

24          We had the good fortune at our January

1 board meeting to see this presentation or  
2 something similar, and I think the entire --  
3 our entire board was very impressed with it.

4 And I want to thank both Admiral West and  
5 Kathy for making sure that -- and Mark for  
6 making sure that he could be with this panel  
7 today.

8 I mentioned this in passing yesterday.  
9 Mark started working about ten years ago at the  
10 Massachusetts Office of Coastal Zone  
11 Management, and he was the coastal geologist  
12 and had the unenviable task of going out and  
13 explaining to homeowners why they couldn't  
14 built in the Meloski [phonetic] zone, why dunes  
15 were not compatible with in-ground swimming  
16 pools and so forth.

17 And I think he found very quickly that he  
18 had to be very creative, that science and logic  
19 didn't always carry the day.

20 He subsequently went on to the National  
21 Park Service, did some work for them, and about  
22 a year ago started working at the Provincetown  
23 Center for Coastal Studies where he has used  
24 that same creative thinking and thinking

1 outside the box to tackle an issue of doing  
2 some mapping in some shallow water areas.

3 Welcome, Mark.

4 MARK BORRELLI: Thank you. And I'd like  
5 to thank the panel for the opportunity to come  
6 and present today.

7 I will try and talk slowly, because when I  
8 get going, I start going fast. And I'll try to  
9 stay near the microphone.

10 Okay. Just sort of dive right in. Talk a  
11 little bit about the product that we're working  
12 on, the field setting, some preliminary  
13 results.

14 We -- I started, again, as Tom says,  
15 June 1, last year. By the time we got the  
16 equipment in house and on the boat and working,  
17 it was about April -- no, I'm sorry,  
18 October 20th. So we had about ten days on the  
19 water last fall before we had to close shop.

20 But we do have some preliminary results,  
21 and then we'll talk about the overall -- our  
22 research goals.

23 Okay. Some background. This was ready,  
24 aim, shoot self in foot. This is the story

1 that was told to me. I don't know if it's  
2 thoughtful or not. Maybe Tom can verify this  
3 or not.

4 In the mid to late '90s, more and more  
5 private organizations were trying to or  
6 proposing to put more infrastructure on  
7 seafloor in Massachusetts. It was becoming  
8 more and more prevalent

9 And at some of these meetings, the  
10 proponents would say things like, well, you say  
11 we're going to negatively impact the seafloor.  
12 How do you know? You don't have maps.

13 And then some clever person says you're  
14 right, and you're going to help us pay to get  
15 them.

16 So what Massachusetts did, it set up a  
17 fund wherein every time there's a project done  
18 on seafloor, a certain percentage of those  
19 funds would go into this larger fund to develop  
20 seafloor maps.

21 And thus was born the Massachusetts  
22 Seafloor Mapping Cooperative. And it's a  
23 partnership that started formally in 2003, and  
24 it was a partnership between the Coastal Zone

1 Management Office in Massachusetts and the USGS  
2 primarily, but NOAA has been a contributor.

3 There are many other contributors, and now  
4 part of the funding for this project came  
5 directly from that fund, the Provincetown  
6 Center for Coastal Studies.

7 And what we're charged with doing is  
8 collecting the bathymetric data, and with  
9 sufficient geology, you can do this in a number  
10 of different ways. And this is done in state  
11 waters up to three nautical miles.

12 We use geophysical techniques. USGS has  
13 been the primary -- they've been doing most of  
14 the work up until now and continuing into the  
15 present day. These -- this suite of  
16 geophysical techniques, including the swath  
17 bathymetry, side scan sonar. There are days  
18 you can do some seismic reflection work for the  
19 subbottom, lots of sediment sampling  
20 photographs and video.

21 From 2003, the beginning of the project,  
22 to 2008, they've mapped over 1300 square  
23 kilometers of the seafloor in Massachusetts  
24 state waters, which is about 75 to 80 percent.

1 They've done more in 2009. And primarily,  
2 they're -- they work within about 5 to 90  
3 meters of water depth.

4 And for the most part, it's more than  
5 10 meters out. They have come in shallower and  
6 shallower as the technology and the need has  
7 become more available.

8 So for the product that we're working on,  
9 it's a three-year pilot project that the center  
10 is working on. I'm the project manager. And  
11 we are charged with developing methods to  
12 collect data and produce the nearshore resource  
13 characterization maps. We're moving away from  
14 the benthic habitat mapping title, and we're  
15 just mapping the nearshore resources.

16 We -- and part of this project, we want to  
17 develop seamless onshore/offshore maps. And  
18 typically, I'm really happy to hear that  
19 vertical datum comment, because it is an issue,  
20 particularly when we're doing the seamless  
21 onshore/offshore maps.

22 Typically when you do seamless  
23 onshore/offshore maps, the LiDAR data -- you  
24 usually get the -- when the water is cold --

1 you try to get the clearest water you can, and  
2 the vessel-based data is usually in the summer,  
3 June, July, August.

4 So what you're trying to do is map one of  
5 the dynamic environments, this coastal zone,  
6 and you're spreading it four or five months  
7 apart, and it's not really useful to scientists  
8 and modelers, people who are going use these  
9 data in general.

10 So what we're proposing to do with this  
11 particular project is to -- we're -- actually,  
12 we're going to map the marine-terrestrial  
13 interface. Rather than just say seafloor  
14 mapping or terrestrial mapping, we're going to  
15 map that marine-terrestrial interface.

16 Cape Cod Bay is a wonderful place to do  
17 it. We have a three-meter tidal range, so what  
18 we're proposing to do is we're going to map --  
19 start in very shallow waters, in 10 meters, and  
20 go all the way up to the shoreline. And we're  
21 going to map the beach dune system with the  
22 LiDAR.

23 But with that intertidal range, what we're  
24 going to do is introduce this concept of tide

1 coincident. What we want to do is we have  
2 LiDAR flights at low tide. And then at the  
3 next high tide or previous high tide, we come  
4 in with the boat and we map that same area.  
5 The same intertidal area will be mapped six  
6 hours apart.

7       So rather than having it weeks or months  
8 apart, we're going to have it -- we're going to  
9 shoot for trying to do this six hours apart,  
10 either previous or the next time, very shallow  
11 waters. With the tidal range we have in Cape  
12 Cod Bay, we think it's doable.

13       Part of what makes this whole project work  
14 is this latest technology, interferometric  
15 sonar system. I'll talk a little bit more  
16 about that.

17       We have the C3D system from Teledyne  
18 Benthos in Falmouth, Massachusetts just  
19 developing in the last few years this  
20 technology. We collect coincident swath  
21 bathymetry and side scan sonar. It's a  
22 fantastic system.

23       Darren Moss and Charlie Chong [phonetic]  
24 at Teledyne Benthos have been fantastic

1 supporters they're really working with us to  
2 help us make it work, and they're only an hour  
3 away, which is nice.

4 There's only literally three or four  
5 places in the world that makes this, so it's  
6 nice to have somebody in the neighborhood.

7 Now, USGS data products, again, they have  
8 been doing this. They are the leaders. They  
9 are a production shop. They're -- some of the  
10 world's best people are at the USGS.

11 These are the typical data products you  
12 see that they put out. On bottom here you have  
13 all the different datasets, whether it's  
14 bathymetry, side scan, sediment sampling, video  
15 and photographic capture, things like that, and  
16 then they produce this map above.

17 But one of the things when you look at the  
18 raw data -- this is the bathymetry. This is  
19 Plum Island. This is the Massachusetts-New  
20 Hampshire border up here, and that's the  
21 bathymetry.

22 And basically what this project is, the  
23 project that we're working on, is coloring in  
24 that white space.

1           When you have these bathymetry maps, they  
2 just don't go up to the shoreline, and it  
3 actually has -- in the industry, we call it the  
4 white space. It's this area on the map that is  
5 rarely colored in because there's just no data  
6 there.

7           And the data that is there, within the  
8 last five, ten years, they have been using  
9 personal watercraft with a GPS unit on it to  
10 sort of go in and out of the surf zone. High  
11 levels of uncertainty or errant data. While  
12 it's useful and it does serve a purpose,  
13 getting a swath bathymetry system in there with  
14 the equipment that we have is going to increase  
15 or decrease the uncertainty to very, very low  
16 levels, I think.

17           So for this particular map, we would be  
18 filling in that area. Overlap the existing  
19 data and then come into the very shallow  
20 waters, using the vessel that we're building  
21 with the equipment that we have to map that  
22 area.

23           Little bit about Provincetown Center for  
24 Coastal Studies, we are a private nonprofit.

1 Our primary or our initial role was the study  
2 of right whales, the North Atlantic right  
3 whale.

4 We -- part of -- a large part of the  
5 program is the disentanglement program. We go  
6 out and we disentangle these if we get reports.  
7 We actually just disentangled a right whale  
8 Saturday that we first saw with string on it,  
9 some fishing gear on it in 2008, March 2008.  
10 And last Saturday we just disentangled this  
11 particular right whale in the Great South  
12 Channel.

13 So that was a great thing. There's only  
14 about 350 to 450 right whales left. They're a  
15 native species. So these guys just do great  
16 work and can't say enough about that.

17 But we do the large programs, we do water  
18 quality monitoring. We have a land scanner  
19 action program, which is where my product is  
20 housed.

21 And we're in a great location. We're  
22 right at the tip of Cape Cod. We do a lot of  
23 work in Cape Cod Bay, the southern Gulf of  
24 Maine, and the program is expanding.

1           We have a new facility, about 11,000  
2 square feet, just totally done over in 2007.  
3 This is actually an old Catholic school. The  
4 Catholic Church is right off shot here, and my  
5 office space -- people who have been in the  
6 town their whole lives come into my office and  
7 reminisce about the times when the nuns used to  
8 take them in there and whack their wrists with  
9 the ruler but...

10           So it's fun to have that interaction with  
11 the town that we have.

12           This is the boat. This is a dedicated  
13 research vessel. This is -- it's a  
14 Winninghoff. Before I came to the center, I  
15 didn't know what a Winninghoff was. It's a  
16 26-foot all-aluminum boat, three airtight  
17 compartments. Draws about a foot and a half.

18           This thing is a tank. It's great for what  
19 we want to do, shallow water, very little  
20 draft, but it doesn't move around that much in  
21 the wind. It's -- it's just a great, great  
22 research vessel.

23           These pictures were taken last fall when  
24 we just started to develop the mounting gear.

1 That is little A-frame that we have. You mount  
2 the pod onto this A-frame, and you lower it  
3 into the water.

4 We've since installed a hoist here, so  
5 this is all automated, and then we just lock it  
6 into place and you lower it down. And we  
7 can -- we have set this up so we can be -- this  
8 pod is a fit of one foot -- goes from one to  
9 three feet below the water level, so we can --

10 Last fall we had a couple -- about a week  
11 before Thanksgiving we had two flat, calm days  
12 out there. It was beautiful. And we were in a  
13 meter of water surveying. So we can get that  
14 far or that shallow, and it's just a phenomenal  
15 system.

16 Really quickly, there's -- just to show  
17 you all the parts of system, there's the sonar  
18 unit that is below the water. Again, that's  
19 the C3D unit. We have a CTD sensor. It's a  
20 conductivity-temperature-depth sensor, because  
21 we need really high-accuracy, high-resolution  
22 information about sound velocity, how fast  
23 sound travels through water, because that's, in  
24 essence, what we're measuring.

1           We know exactly when the sound leaves the  
2           sonar unit and when it comes back. We have to  
3           know exactly how long that was and how fast  
4           sound is traveling in that particular area  
5           through water.

6           We have a motion reference unit, gives you  
7           the pitch and roll of the ship, which is  
8           critical. All those data go into the  
9           onboard -- one of the onboard computers.

10           We have a vector sensor that are -- these  
11           tho GPS antennas are spread out on two years  
12           [phonetic], so, you know, the yaw, if the both  
13           starts to crab, you know exactly what that is.

14           We have an RTK GPS system. I love this  
15           thing. This is -- RTK GPS. We don't have to  
16           worry about -- correct for tides because it  
17           takes realtime data, saves another step.

18           And the other thing about this system --  
19           I'll get into that in the next slide. But the  
20           last piece is that this desktop computer --  
21           second onboard computer incorporates all this  
22           data. You have one dataset when you get out.

23           You don't have to worry about having a  
24           bathymetric set and a side scan sonar and

1 putting it all together. You have one dataset.

2 We're using Hypack software on this, and  
3 the functionality of the software with the  
4 power of the equipment is just a -- a great --  
5 is a great form -- it's a great match.

6 But this RTK GPS system, I'm excited about  
7 this, because I did a lot of this when I was  
8 doing my master's and Ph.D. work, and you  
9 always had to set up that bay station. You  
10 always had to go out and set up that bay  
11 station, and then you always had to have  
12 somebody watch it.

13 And it's a real pain because -- especially  
14 when you're on a boat. You have to set up a  
15 crew, you have to set people, put it in a place  
16 where it's safe.

17 Keystone Precision, which is the dealer  
18 for Trimble hardware in Massachusetts and Rhode  
19 Island, has a cellular network that they've set  
20 up. And all these bay stations from southern  
21 Maine down to Virginia act as virtual bay  
22 stations.

23 So I get on my boat or I use this on the  
24 beach, and I initialize literally in less than

1 five minutes, and I'm collecting realtime data  
2 with an accuracy of two or three centimeters  
3 vertical -- it's fantastic -- without a bay  
4 station.

5 So we're very excited about this. It cuts  
6 down -- it's just fantastic. I love this  
7 system.

8 And when we initially started this, zoom  
9 in here, we had a bay station here and a bay  
10 station here, but there was nothing out here,  
11 so there would be a significant degradation of  
12 the data in Cape Cod Bay, because triangulation  
13 is the name of the game when you're doing these  
14 kinds of things.

15 So we proposed to the company to put a bay  
16 station on our roof of our building, and so we  
17 have really high accuracy measurements for that  
18 RTX GPS. So the verticals numbers we're  
19 getting are really tight.

20 We're going to do some uncertainty  
21 analysis this spring, but we're very confident  
22 that we're going to get favorable results.

23 Let me see if I can click on this video.  
24 Can you just click in that square?

1           And this is just for those who aren't that  
2 familiar with how this -- I just want to show  
3 this video.

4           This is actually from the NOAA Ocean  
5 Explorer site. Just a quick little video that  
6 I'm not sure is going to work.

7           And it just shows basically an AUV of an  
8 autonomous underwater vehicle moving through  
9 the --

10          VIRGINIA DENTLER: Do you want me to pull  
11 it up?

12          MARK BORRELLI: Did you click on --

13          VIRGINIA DENTLER: Yes, it's not...

14          MARK BORRELLI: It just shows basically  
15 how the sound bounces off the seafloor and  
16 comes back to the fish, and it's not -- it  
17 wasn't critical.

18          VIRGINIA DENTLER: I'm pulling it up.

19          MARK BORRELLI: Okay. It's just for those  
20 who aren't too familiar with -- okay, here we  
21 go.

22                 It's a real quick video. And again, it is  
23 an AUV. It's not what we're using. We're  
24 using -- the fish is mounted to the boat, but

1 it does show you how you have that little space  
2 directly below the fish, it has no data in it,  
3 and then you have the sound coming down off the  
4 fish, bouncing back off the seafloor and coming  
5 back up.

6 And it's just a real interesting video.  
7 Most videos that I've seen don't have that  
8 little space directly relating to where there's  
9 no data. You see this nice...

10 But this has to do also with the next  
11 slide, which has to do with the swath  
12 width-to-depth ratio, which is critical for the  
13 work we're doing. You can stop it there.  
14 Yeah.

15 Okay.

16 So a big -- a big drawback in the past has  
17 been the swath width-to-depth ratio.

18 Traditionally, multibeam, it's three to one.  
19 If you're in five meters of water, you get a  
20 15-meter swath. And this was part of the  
21 reason why when organizations like NOAA and the  
22 USGS do their mapping, they do it in deep water  
23 first, because it's much more efficient to get  
24 out there in deep water, get a wider swath and

1 collect more data for the same period of time.

2 But in the last few years, interferometric  
3 technology has been around for a long time, but  
4 it's only in the last few years has it become  
5 predictable enough, efficient enough. They've  
6 worked out the kinks, basically, and it's  
7 really fantastic.

8 So now when we're in the shallow water  
9 using our gear, we're getting -- you can get up  
10 to ten-to-one swath width-to-depth ratio.

11 So it becomes much more efficient. We can  
12 do it in a third of the time. The data  
13 collection is fantastic. And when you're in  
14 shallow water, you're in hazardous area,  
15 there's a lot of gear. It's much more  
16 efficient and much safer to use this kind of  
17 technology.

18 And now the USGS is again beginning to do  
19 it. I'm sure NOAA is beginning to do it in  
20 shallow water areas.

21 Quickly, the field setting, as I  
22 mentioned, Cape Cod Bay. We are partnering  
23 with Cape Cod National Seashore.

24 We have two grad students coming on board

1 in the summer to work full-time for two years  
2 on this project. They'll be housed for the  
3 summers, anyway, in the park housing, which is  
4 a big help for us, because getting a room on  
5 Cape Cod in the summertime is tricky.

6 This is our study area, as laid out in the  
7 project description, and we're not going to be  
8 mapping this whole area -- well, it's unlikely  
9 that we will, but we're going to be trying to  
10 develop these methods within this study area.  
11 And basically, this outer age is the ten-year  
12 isobath.

13 This is the extent -- there's more data  
14 here that USGS has collected up to the north --  
15 for Cape Cod Bay, this is all they've collected  
16 to this point. So it's a nice, you know, wide  
17 swath, but there's a lot of area, obviously,  
18 they haven't done in Cape Cod Bay.

19 NOAA has done some. There was a  
20 realignment of the channel because of whale  
21 strikes that they did down in here. They've  
22 done other realignment of channels for that --  
23 for those reasons.

24 And just really quickly for those who

1 aren't familiar with the area, we'll just take  
2 you all on fly-by. Could not get the Google  
3 video to work so I'm just going to cheat and  
4 just show little figures.

5 So this is the area, the southern extent  
6 of where we're going to be. Lots of bed forms,  
7 lots of sediment transport in the area. This  
8 is Wellfleet, moving up into Truro, Pamet  
9 River.

10 This area is dredged every two, three,  
11 four years, depending on need. Again, lots  
12 of -- you see all this dark vegetation. This  
13 aerial photograph was taken in July. These  
14 areas are all eelgrass beds or some kind of  
15 seagrass.

16 And this is the tip of Provincetown.  
17 Again, this is where the center is, and this is  
18 where we put the boat, so this is -- it's a  
19 nice setup. It's a quick response.

20 We can get out, we can get half day. If  
21 the weather turns, we don't have to --  
22 mobilization costs are negligible.

23 Okay. So we'll look at some of the data.  
24 This is a side scan sonar. Side scan sonar is

1 basically imagery. It's an image of the bottom  
2 captured using sound as opposed to light.

3 So this is the -- that area, we're  
4 directly under the boat where there's no data,  
5 that we saw in the video. And this is -- these  
6 are eelgrass beds. This is all vegetation.

7 And how do we know this is eelgrass?  
8 Well, we were about in three meters of water,  
9 so we just looked over the side.

10 When we do this on large scale, we  
11 start -- because the field season will start in  
12 earnest any day now, quite early; but when we  
13 do do this, we'll do a lot of ground trooping  
14 to make sure the signature we're seeing on the  
15 side scan sonar is what we think it is when we  
16 take sediment samples, things like that.

17 So this is really nice. Geologists like  
18 to see this kind of stuff. We can see the  
19 eelgrass, we can see these bed forms. We'll  
20 zoom in on this picture now. It gets a little  
21 grainy here, but that's because we're blowing  
22 up to such an extent.

23 But these bed forms -- someone mentioned  
24 yesterday that one of the things we need to do

1 when we do mapping is provide modelers with  
2 some good idea of sediment transform. They  
3 want to see bed forms, they want to see slides  
4 of bed forms. They want to understand --

5 Hydrogenetic modelers, when they want to  
6 get a handle on [unintelligible], they want to  
7 know what the sand grain size is, what the bed  
8 forms are like.

9 Of course a geologist looks at this and  
10 they look at the bed forms, they want to know  
11 water depth. I can tell the current velocities  
12 that form these bed forms just by looking at  
13 them.

14 Again, this is just the side scan. The  
15 bathymetry will give you even more quantitative  
16 data.

17 Another image here, again, really nice  
18 area. And I like this picture because yes, you  
19 have a lot of eelgrass here. But on this side,  
20 you see -- you see these nice bed forms here  
21 and here, and they sort of go away.

22 So one of the questions we're going to ask  
23 when you start to see things like this is are  
24 we approaching the -- the extent of the

1 resolution of this equipment or are these bed  
2 forms actually going away, which happens in  
3 places,

4           And my guess here is that there are bed  
5 forms there, and we're getting close to that  
6 resolution boundary.

7           Let's see. Here's another shot. As this  
8 area gets whiter, the water is getting deeper.  
9 So this is a nice little sort of safety  
10 precaution, because if this water column starts  
11 getting narrower and narrower and narrower,  
12 you're in trouble, because you're getting  
13 shallower and shallower and shallower.

14           Here this is off of Truro, which is the  
15 town adjacent to Provincetown, and we saw in  
16 this area where we were doing it last fall,  
17 that as soon as we got into about four meters  
18 of water, the eelgrass beds were much thicker.

19           Here you can see it's very sparse, and  
20 here it's just so thick you can't even see the  
21 bottom anymore.

22           And this is very anecdotal. This is us  
23 just going out and trying to get the equipment  
24 to work, so we haven't really done research on

1 this particular area, but we will be as we --  
2 as we move forward.

3 So it's a lot of opportunities yes, to do  
4 mapping, yes to provide modelers with  
5 information, but also to do a lot of good  
6 science.

7 Aquaculture is very big out here. The  
8 nature conservancy is planting eelgrass  
9 anywhere they can. So we have -- if we're  
10 going to have information -- quantitative  
11 information about patchiness in terms of  
12 eelgrass, locations where it has been doing  
13 well and where it hasn't in terms of  
14 aquaculture.

15 This is, again, more eelgrass here. You  
16 can see this patchiness; it's just starting to  
17 take hold here. Another one -- another image,  
18 bed forms, patchiness, the eelgrass.

19 I like this one. This is -- this is an  
20 instance, I believe, of where the bed forms  
21 just go away. There's some downwellings, a  
22 change in currents. And something is  
23 flattening out this plain beds here or some  
24 other function, process that's going on that's

1 just removing these bed forms. They just stop  
2 too abruptly. Could be grain size difference,  
3 could be a number of different things.

4 But this equipment will allow us to look  
5 at these things, take some [inaudible] to  
6 figure out what's actually going on. This is  
7 probably a manmade object here, human-made.

8 Anthropogenic alterations. Here you see  
9 the mooring. These are little mooring --  
10 looking at that telltale mark in the sand. We  
11 see scars in the eelgrass with this equipment.  
12 They just jump right out at you.

13 More gear on the bottom, mushroom anchor.  
14 We can see this gear, little debris field here.  
15 This is really important for the  
16 disentanglement program. They want to know  
17 where this gear is. If it's derelict and it's  
18 been here for a while and we have the  
19 opportunity to go get it --

20 This is -- just looking at this water  
21 column, knowing that the range here is about  
22 50 meters, this is probably about four meters  
23 of water. It's not much. So we could -- we  
24 may be able to go out and get this stuff. A

1 lot of different uses.

2 Hazardous navigation, this boat -- ship is  
3 in Provincetown Harbor. It's well marked on  
4 the NOAA charts, but we found another one that  
5 wasn't on the NOAA charts.

6 And you can see the shadow. Again, we're  
7 using sound, so the shadow is not a shadow of  
8 light, it's a shadow of sound. There's no  
9 sound hitting the seafloor here, because it's  
10 blocked by this boat.

11 And this is the same boat, but it's taken  
12 from a different angle. And you can see the  
13 detail here. Again, it's grainy because I've  
14 blown it up, but you can really the detail  
15 here.

16 Preliminary results, we've done about 100  
17 kilometers of tracks last fall in about one to  
18 five meters. We're sticking to the shallow  
19 water because we really want to see what kind  
20 of results we're getting and we're seeing a  
21 ten-to-one swath-to-depth ratio.

22 And when you narrow it down seven to eight  
23 or ten or seven to one or eight to one, it gets  
24 really, really tight. Very little processing

1           So the questions now we're asking is do we  
2           want to keep it at seven to one or eight to one  
3           and do very little processing, spend more time  
4           on the boat, less time in front of the  
5           computer? Or do we want to get a ten to one,  
6           increase our coverage, and do a little bit more  
7           processing on the other end?

8           Bed forms that we're seeing, the  
9           resolution, you can easily see bed form space  
10          10 centimeters apart, which is really pretty  
11          good.

12          This sonar unit runs as 200 kilohertz.  
13          When I look at the side scan, I think 500  
14          kilohertz. It's really pretty good.  
15          Interferometric sonar to my mind is a step  
16          above the existing technologies.

17          And the uncertainty analysis. We's going  
18          to do a lot of this. Straud Armstrong from  
19          Teledyne Benthos is going to help us with the  
20          uncertainty analysis, and we're going to have  
21          [inaudible] myself -- this is a big deal for  
22          us.

23          One of the things that we're really  
24          concerned with when we do these seamless maps

1 is the datums. LiDAR is going to give us one  
2 datum. Our work is going to give us another  
3 datum. And how you match those things?

4       Because we're doing this constantly,  
5 because we're doing this hours apart, what we  
6 want to do is get some structures in the  
7 intertidal, whether they're lobster pots that  
8 are big enough, maybe coupled together, or we  
9 go survey -- there's a lot of growings in the  
10 area.

11       At low tide we survey some of these  
12 growings, and then we can see them in the LiDAR  
13 and see them in the vessel-based bathymetry and  
14 overlap those, and we'll know exactly where  
15 those points are that overlap in those  
16 datasets.

17       And a lot of datum issues go away, and we  
18 can actually overlap things six hours apart.  
19 Things like rocks on the ground that don't  
20 shift, things like anchoring those lobster pots  
21 on the bottom. It will remove a lot of  
22 problems.

23       So the LiDAR missions. We've been worried  
24 about this. In 2005, Cape Cod National

1 Seashore was due to have a LiDAR mission done  
2 along its whole shoreline, and then Hurricane  
3 Katrina happened and every piece of equipment  
4 obviously went down there.

5 So we were worried about that happening  
6 and wanted to develop sort of in-house  
7 capabilities to collect some data.

8 We can mount that GPS onto an ATV, go out,  
9 drive to the beach and do it that way and get  
10 those data; but what we found is -- and this  
11 should be May 2010 -- the US Army Corps of  
12 Engineers is going to be flying a survey in  
13 this area, and they're going to start in Rhode  
14 Island and work their way to the Cape.

15 And it says April because it was scheduled  
16 in April, but then we had the floods in Rhode  
17 Island, postponed it. And then the gear got  
18 stuck in Europe and the volcano postponed it,  
19 so they're a little behind schedule.

20 And that's bathymetric LiDAR.

21 USGS is also planning a survey -- we don't  
22 have the dates yet -- in the same area, and we  
23 wrote a grant, because we were worried about  
24 it, with Jeff Rogers, who is a Ph.D. candidate

1 who is at the center, adjunct capacity, to  
2 collect some terrestrial data with the National  
3 Center for Airborne LiDAR Mapping.

4 And we got that grant, so that's at our  
5 disposal. We tell them when we want it. Jeff  
6 is interested in salt marsh and LiDAR, so we're  
7 probably going to fly in August when the  
8 vegetation is at its fullest.

9 And I just found out yesterday or a couple  
10 of days ago that NOAA has contracted to fly a  
11 fly in the area. I just got this in my email  
12 the other day. These are the projected flight  
13 lines. So your mind starts to explode as to  
14 the possibility of how much LiDAR data, how  
15 many things --

16 I mean, people are starting to do this,  
17 use the LiDAR data and the mapping. Nobody has  
18 ever done a seasonal look at this. Nobody has  
19 ever looked in May and again in August with  
20 LiDAR and a seamless map

21 So there's a lot of different things we  
22 can do here, and we are excited about the  
23 opportunity to -- to get down there and do some  
24 mapping, produce these maps and do some good

1 science.

2 And these are just acknowledgments. As a  
3 private nonprofit, we don't have -- we have low  
4 overhead, but we don't have a funds, so the  
5 partnerships are really important to us, and  
6 particularly the private partnerships.

7 Hypack has provided us with the  
8 opportunity to fund a graduate student through  
9 a loan agreement with them, so that's been a  
10 real huge feature for us.

11 Again, I mentioned Straud Armstrong  
12 before. Teledyne Benthos is helping work with  
13 us. Some of these organizations have been  
14 really great helping us out, and we'd just like  
15 to thank them.

16 Thank you.

17 ED WELCH: Okay, Mark, thanks very much.  
18 Comments, questions from the panelists?

19 Yes, Matt.

20 MATT WELLSLAGER: Mark, that's great  
21 stuff. I manage a realtime network down in  
22 South Carolina. I was curious what you were  
23 dealing with here.

24 Initially when you're working with

1 Keystone's network, is a single baseline or are  
2 you getting a model solution from the reference  
3 network itself?

4 MARK BORRELLI: As far as I know, we're  
5 getting the model solution, but -- I think  
6 that's what we're getting.

7 MATT WELLSLAGER: Are you working with  
8 depths to the ellipsoid or are you applying a  
9 geoid model? And if so, which geoid are you  
10 working with?

11 MARK BORRELLI: That I don't know. I  
12 could put you in contact with the person, but I  
13 don't know. I'm just scientist.

14 MATT WELLSLAGER: Got you.

15 Well, in addition to that, you had  
16 mentioned datums.

17 It would go would be interesting to know  
18 what datum Keystone is providing corrections  
19 on.

20 And when you work with the LiDAR data,  
21 that will be adjusted to a datum as well, and  
22 you mentioned that issue there.

23 MARK BORRELLI: Yes.

24 MATT WELLSLAGER: Are you familiar with

1 the possibility of getting Ortho-Imagery at the  
2 same time the LiDAR is being flown and then you  
3 can have rectified very large-scale imagery  
4 that could be overlaid with LiDAR so you could  
5 have some seamless modeling capabilities.

6 MARK BORRELLI: I'm aware of the  
7 georeference there, not the Ortho rectifier.  
8 But they were at such a scale, it was difficult  
9 to get Ortho verification; but if it's  
10 possible, then I'd be interested.

11 MATT WELLSLAGER: We're getting it in  
12 South Carolina.

13 MARK BORRELLI: That's great.

14 MATT WELLSLAGER: And the Hypack is good  
15 stuff. We do the same thing. We've done that  
16 done there. Thank you.

17 MARK BORRELLI: Sure.

18 ED WELCH: Are there comments or  
19 questions? Jon, Jon Dasler.

20 JONATHAN DASLER: Again, great  
21 presentation. Fascinating work.

22 MARK BORRELLI: Thank you.

23 JONATHAN DASLER: I was just curious on  
24 some of the GPS work -- some of the same areas

1 where the LiDAR might be done and they'll be  
2 used on a virtual base and some bay stations  
3 will be put out.

4 But is there going to be other  
5 confirmations, I guess, of the virtual network  
6 in doing that? And do you have the capability  
7 of doing post-processing with the systems you  
8 have on board?

9 Some combine GPS and an inertial system,  
10 you can do a post-processing, which will kind  
11 of improve motion artifacts and positioning--

12 MARK BORRELLI: Yes.

13 Again, I'm told you don't need to do  
14 post-processing given the system we have.  
15 There's uncertainty analysis where you --

16 We were told that we don't need to do  
17 post-processing giving the system that we have,  
18 but there is an uncertainty analysis where you  
19 can kind of occupy a known point for a period  
20 of time, three minutes, and you collect enough  
21 data points and you do that kind of thing.

22 Again, it's not my area of expertise. But  
23 I know we'll will be trying to nail down that  
24 uncertainty.

1           JONATHAN DASLER: I don't know about if  
2 that -- that's something maybe Juliana knows,  
3 but I know some of the state networks aren't  
4 all cooperative sites for NGS and we've seen  
5 that in other networks where even just taking  
6 the bay station data and running it through,  
7 say, like a NOVA Solutions to kind of verify a  
8 position --

9           So if the data -- I guess what I'm getting  
10 to is if this data is going to get  
11 cross-referenced to NOAA surveys and other  
12 surveys that may be going on, just doing some  
13 confirmations like that and maybe looking at  
14 what NOAA is doing also in terms of horizontal  
15 and vertical control.

16           MARK BORRELLI: Mm-hmm.

17           There is a GIS specialist at the seashore,  
18 Mark Adams, who has reoccupied some of the NGS  
19 benchmarks out there, and we're going to  
20 compare data with him and probably go out and  
21 occupy it ourselves for a while to help -- help  
22 with that.

23           ED WELCH: Juliana.

24           JULIANA BLACKWELL: Mark, thank you very

1 much for that presentation.

2 I think we have several -- the National  
3 Geodetic Survey has several products and  
4 services that are available that we would like  
5 to make sure that you're aware of, and the  
6 folks that are processing data are aware of it.

7 Jon mentioned one of them, our tool that's  
8 available for people to submit GPS data and  
9 have that data then return an answer to you  
10 based on our CORS, Continuously Operating  
11 Reference Station that we have, and be able to  
12 provide a position to you online through email  
13 that will tell you what the latitude and  
14 longitude and elevations are and give you  
15 accuracies for that position as well.

16 So that's one example.

17 We also have the three offices here, Coast  
18 Survey, CO-OPS and NGS have VDatum, which is  
19 something that may not be of -- I don't think  
20 it's available in your area, and that's what I  
21 was checking just a minute ago.

22 I don't believe VDatum is available in  
23 your area yet, but it is a transformation tool  
24 that will allow the water datums and the

1 geodetic datums to be connected through our  
2 modeling efforts.

3 And we're going to touch on that later on  
4 this afternoon when I give my update; but  
5 certainly Doug Brown, who's here in the  
6 audience, is our VDatum project manager, he can  
7 give you a little more information about that.

8 But that and items such as our integrated  
9 ocean and coastal mapping efforts that's not  
10 just NOAA, it's several different agencies, and  
11 you mentioned ERL and you mentioned USGS and  
12 Army Corps of Engineers and things that are  
13 happening.

14 There are a lot of -- a lot of  
15 opportunities, I think, to learn and to  
16 integrate what -- what we're doing federally to  
17 help tie these together.

18 So I just want to invite you to keep  
19 looking and to search some of our webpages, as  
20 well as talk to folks here, get some more ideas  
21 of how to -- how to pull all this information  
22 together.

23 I did have one quick question. You  
24 mentioned NCALM, that was an acronym that I --

1 that I didn't get where that's -- it was and  
2 where that's from.

3 MARK BORRELLI: Yes. It's the National  
4 Center for Airborne Laser Mapping, or maybe  
5 LiDAR Mapping.

6 It's a grant that Jeff Rogers wrote with  
7 me, and it's geared toward providing students  
8 with LiDAR data. And it's done at their  
9 discretion.

10 You can give them flight lines, and if you  
11 win the grant, they'll fly the lines for you.  
12 And we got -- we won the grant. So in August  
13 of this year, we'll fly those lines. That's  
14 terrestrial. And I think it's NSF, but I'm not  
15 sure what the parent agency is.

16 JULIANA BLACKWELL: Great. Thank you,  
17 Mark.

18 MARK BORRELLI: Sure.

19 JULIANA BLACKWELL: And just one other  
20 thing I forgot to mention.

21 What Jon was referring to also -- Jon  
22 Dasler was referring to, is these realtime  
23 networks that private companies are putting up,  
24 at the National Geodetic Survey we want to

1 ensure that those networks are positioned  
2 relative to the National Spatial Reference  
3 system, and so making sure that they are --  
4 they're accurate to the national system is  
5 something that we are very engaged with and  
6 want to ensure.

7 And so one way of doing that is to take  
8 data, see what your network -- your local  
9 network solution is, and then also again  
10 submitting it to this opus is as a good check  
11 for the user to determine if those numbers are  
12 matching up.

13 That's -- if they're not, then it's time  
14 to contact some folks and find out why not.

15 MARK BORRELLI: Yes. That's going to be  
16 critical for us as we go forward this summer.

17 ED WELCH: Other panel members?

18 Adam, did you -- Tom Skinner.

19 TOM SKINNER: When Mark was at CZM, it was  
20 almost impossible for anyone to get a word in  
21 edgewise, so if you had something to say, you  
22 had to say it quickly.

23 One of the things about Cape Cod is about  
24 15 years ago, it -- I think it was about 15

1 years ago, it started becoming harder and  
2 harder for homeowners to get homeowner's  
3 issuance. It's a very dynamic area.

4 And the issue has gotten to the stage  
5 where the state has had to step in with a  
6 special program for homeowners.

7 One of the interesting things about this  
8 project is that one of the companies -- one of  
9 the private companies that is still writing  
10 homeowner's policies on Cape Cod is the  
11 Narragansett Bay Insurance Company.

12 I don't know if there's anyone here from  
13 Narragansett Bay. I think it would be very  
14 interesting -- this is the type of  
15 information -- and they're very interested in  
16 this type of data in terms of improving their  
17 models for homeowner's insurance, and it might  
18 be very interesting.

19 I don't think we've heard from the  
20 insurance industry in terms of how this data is  
21 used for coastal areas, and it may be  
22 interesting at a future meeting it hear from  
23 representatives, so...

24 ED WELCH: Thanks, Tom.

1           Other panel members? Mark, I've got a  
2 couple of questions.

3           At your center, is Mason Weinrich one of  
4 your folks, the right whale guy.

5           MARK BORRELLI: I beg your pardon?

6           ED WELCH: Mason Weinrich?

7           MARK BORRELLI: He was, but he's not there  
8 anymore.

9           TOM SKINNER: He's the director of the  
10 Whale Center, which is in Gloucester,  
11 Massachusetts.

12          ED WELCH: I thought at one point he might  
13 have had some connection.

14          Your slide about the white spaces sort of  
15 in the shallow zones. Is there a typical  
16 width, how much area those white spaces are?  
17 And can you say that or does it vary too much  
18 to make that generalization?

19          MARK BORRELLI: It does vary. It's not --  
20 let's see. If I wanted to give you sort of an  
21 envelope -- it's probably -- it's -- it does  
22 vary.

23          You know, it can be, you know, a  
24 kilometer; it can be hundreds of meters. It

1 depends on the slope of the beach and --

2 ED WELCH: Okay. All right.

3 MARK BORRELLI: And also the hazard -- if  
4 you're on a rocky coast, you're not going to  
5 get anywhere near that.

6 If you're on a sandy beach, you know,  
7 you'll get closer.

8 ED WELCH: Okay.

9 Within Cape Cod Bay and within the area  
10 you're working, how dynamic an area is the  
11 bottom?

12 How much -- how frequently does it change?

13 I guess what I'm getting at is -- is the  
14 data that you generate relatively short-lived  
15 because of changes in storms and that type of  
16 thing or does it --

17 I mean, I guess for eelgrass beds, you  
18 pretty much know generally where they're going  
19 to be and they can persist, but I was just  
20 wondering how -- how long-lived your products  
21 are.

22 MARK BORRELLI: Part of the reason why  
23 Cape Cod Bay was chosen, as I understand, is  
24 because you're protected -- you don't want to

1 development methods like this on the open ocean  
2 because it's too dynamic.

3       There is a fair amount of sediment  
4 transport on the bay, but not that much. So  
5 it's not nearly as dynamic as the outer Cape  
6 Cod beaches.

7       So the data products will be useful for I  
8 think a longer period than they would be on the  
9 ocean side, so there is some sediment transport  
10 but not a whole lot.

11       Having said that, they just had the worst  
12 winter on the bay side that they've had in  
13 about 10 or 15 years, lots of erosion, lots of  
14 concern, lot of failures, things like that this  
15 winter.

16       So it's very episodic, but it's not nearly  
17 as dynamic as the open ocean.

18       ED WELCH: Okay, good.

19       One thing that your presentation reminded  
20 me of is the interface of work between NOAA and  
21 USGS.

22       And Juliana or other NOAA folks, can we --  
23 can you make a statement or a comment as to,  
24 you know, where NOAA's responsibilities begin

1 and end and USGS's begin or how they overlap or  
2 what different types of data they're  
3 collecting?

4 JULIANA BLACKWELL: Thanks, Ed.

5 ED WELCH: Maybe you're not the right  
6 person to answer that question.

7 JULIANA BLACKWELL: Well, I can put my two  
8 cents in, but I don't know that I can speak  
9 broadly about all the different confines of it.

10 I know that we do work collaboratively on  
11 many of the projects regarding shoreline  
12 mapping and trying to coordinate the efforts of  
13 who's flying what where.

14 And part of, again, this integrated ocean  
15 and coastal mapping effort is to be able to map  
16 once, use many times. And so that is a  
17 coordination effort as well as an operational  
18 effort, so that's one example of how not only  
19 NOAA but USGS and Army Corps of Engineers and a  
20 variety of other federal agencies are working  
21 hard to do this in a more coordinated,  
22 efficient fashion, and then be able to take  
23 that data and provide it to users so that they  
24 can use it for their purposes as well.

1           So things that maybe we're not focusing  
2 on, somebody else can pick that up and use that  
3 data for their -- for their needs.

4           And so Roger Parsons, who is our IOCM  
5 program manager, who is often at these  
6 meetings -- he's not here today, but he's also  
7 somebody else that can help with those types of  
8 questions and answers as to where things are  
9 being done or how they could be done together  
10 if people are aware of our projects.

11           From the geodetics side, the National  
12 Geodetic Survey is working with USGS, but USGS  
13 is a key organization also, and so regionally  
14 and nationally and very locally, there are  
15 different levels of success in trying to get  
16 those coordination efforts of who's doing what  
17 where.

18           USGS certainly does do mapping and uses  
19 control are efforts of trying to ensure that  
20 they're using control that's tied to the  
21 National Spatial Reference System of which NGS  
22 is the keeper of, the provider of, and can show  
23 that their data links to national datums, as  
24 well as ensuring they're -- they're providing

1 accurate information that is -- or providing  
2 the metadata for their -- their control work is  
3 something that we're working, you know, on many  
4 levels trying to improve.

5 As far as what's happening nearshore and  
6 in the water, I'm not sure what USGS is doing  
7 inside Cape Cod in the bay area there as far  
8 as, you know, hydrographic survey or anything  
9 like that. That I -- I will not be able to  
10 comment on.

11 ED WELCH: Okay.

12 Rich Edwing.

13 RICHARD EDWING: Let me just answer  
14 that -- Rich Edwing.

15 The USGS operates thousands of stream  
16 gauges all across the country, and some of  
17 those gauges probably in the hundreds are in  
18 coastal zone.

19 And we've been working with them, and of  
20 course they're pulling a different set of  
21 products out of their gauges than we are, but  
22 we're working with them.

23 We've actually just formed a working group  
24 between us and the Corps of Engineers and USGS

1 to look at common standards and things so that  
2 we can start to compute tidal datums out of  
3 their -- the gauges that are, you know, they  
4 have out there.

5 We've actually already been working  
6 closely with the Corps with their gauging  
7 network, and that made a lot of progress, and  
8 that's put some pressure on USGS to kind of sit  
9 down and come to the table and start moving in  
10 the same direction.

11 So I think there's a lot of progress been  
12 made between us and the Corps, and I think  
13 we're going to be starting to see a lot of  
14 progress between us and USGS and getting these  
15 three observing system networks somewhat  
16 integrated.

17 ED WELCH: Okay.

18 Mark, you indicated all of this effort  
19 sort of came about by a variety of requests  
20 from people to put things on the bottom in Cape  
21 Cod Bay.

22 And give us some examples of what those  
23 types of things are.

24 MARK BORRELLI: It was more in

1 Massachusetts state waters, and a lot of it is  
2 LNG -- one of the ones is LNG pipelines.  
3 That's one of the driving ones. Cape Wind,  
4 also the wind farms in Nantucket Sound.

5 Mid to late '90s, it was seen that these  
6 products were coming, and they need to have  
7 more of a feel of what's actually out there,  
8 try to manage what you don't have data on.

9 So it wasn't really Cape Cod Bay  
10 necessary, but it was Massachusetts state  
11 waters.

12 ED WELCH: So there is a Massachusetts  
13 state statute or policy that when somebody is  
14 proposing some kind of a new use on the bottom  
15 within Massachusetts state waters of that type,  
16 that there is various types of assessments they  
17 have to pay for some of the, shall we say,  
18 infrastructure that helps support that?

19 MARK BORRELLI: Yes.

20 I would probably refer that to Tom,  
21 because he would probably have a better idea of  
22 whether it's a policy, regulation or that kind  
23 of thing

24 But I know that there is a mechanism in

1 place that when a project like that is  
2 proposed, yeah, there has to be some  
3 mitigation.

4 ED WELCH: Okay.

5 Tom?

6 TOM SKINNER: It's through the state's --  
7 Massachusetts Environmental Policy Act, or  
8 MEPA, process a project will go through. And  
9 based on agency comments, the Secretary of  
10 Environmental Affairs will issue a mitigation  
11 package.

12 And it's a more tradition now that when  
13 there's a -- a significant ocean-based project,  
14 that some of it goes to completing the seafloor  
15 mapping project.

16 ED WELCH: So Massachusetts is out ahead  
17 of the federal in that respect.

18 Larry.

19 LARRY WHITING: Larry Whiting.

20 Are you aware, Mark, of -- if Teledyne has  
21 submitted their specs and equipment to NOAA to  
22 have them test it for their surveys?

23 MARK BORRELLI: You know, Straud Armstrong  
24 was here yesterday. He's not here today -- oh,

1 there he is.

2 Straud, do you know?

3 ED WELCH: Can you come up to the mike,  
4 please, sir?

5 MARK BORRELLI: I love putting people on  
6 the spot.

7 STRAUD ARMSTRONG: Thank you.

8 Straud Armstrong from Teledyne Benthos.

9 Yes, I think HSRP was evaluating the  
10 Benthos C3D last year. There may have been  
11 some issues with software or hardware at the  
12 time.

13 And we are in the process right now of  
14 doing some more evaluation also with Canadian  
15 Hydrographic Services in Vancouver.

16 LARRY WHITING: Okay, thanks.

17 I tested the system in the past, and it  
18 did not pass at that time. Made way too much  
19 noise.

20 MR. SUDELSON: Okay.

21 It was --

22 LARRY WHITING: So it would have to have  
23 new software or be cleaned up on the -- on the  
24 receiver side in some way.

1           STRAUD ARMSTRONG: Yes, yes.

2           We have made very great improvements in  
3 the software handling, and some of it has been  
4 working with the software companies themselves,  
5 such as Hypack has new filter parameters that  
6 enable for interferometric sonar support.

7           In the past, the software was designed for  
8 handling multibeam data, and it's been  
9 recognized that interferometric, which is based  
10 on side scan pulse, not on multibeam beams, the  
11 data needed to be handled differently, and now  
12 we've seen great improvements.

13           And in the next two weeks, I'll be in San  
14 Diego doing research with Teledyne RDI. I also  
15 have our hydrographer here joining in this to  
16 understand more about what Mark Borrelli is  
17 doing, and we're trying to find ways we can use  
18 the data and the efforts that Mark has  
19 undertaken to help characterize the  
20 uncertainties and the datasets that he collects  
21 here.

22           We're located in Falmouth, in North  
23 Falmouth, right on the Cape. So we're only  
24 about an hour and a half drive.

1 ED WELCH: Thanks.

2 Andy Armstrong.

3 ANDY ARMSTRONG: Yes.

4 I was just kind of commenting, in addition  
5 to what Straud said, there are multiple fronts  
6 where people are looking at approaches to data  
7 processing for these interferometric sonars  
8 which generate sort of order of magnitude more  
9 individual soundings, but again, with an order  
10 of magnitude more noise in the sounding, each  
11 of soundings.

12 So there are a number of approaches that  
13 are being tested to working through that  
14 additional individual sounding level of  
15 uncertainty to try to improve the resulting  
16 uncertainty of the map.

17 And the Joint Hydrographic Center and NOAA  
18 Hydrographic Surveys Division and Coast Survey  
19 Development Lab are working with the  
20 manufacturers and among ourselves trying to  
21 sort out these issues in using these new sonars  
22 in shallow water.

23 ED WELCH: Thanks.

24 Jon, did you have a comment?

1 JONATHAN DASLER: Yes.

2 Getting back to your earlier comment, Ed,  
3 about the overlap, there's a lot of overlap in  
4 this.

5 This may be map many times use one once  
6 for analysis on all the systems. So I was  
7 surprised to hear that actually NOAA is doing  
8 some of the flights -- we're part of a team  
9 member on some of the core mapping or  
10 bathymetric [inaudible] in the same area, Bay  
11 station in Nantucket, supported that for our  
12 virtual base, but this may be an opportunity  
13 for allowing the overlap to evaluate some of  
14 these systems.

15 So again, I think stressing everybody kind  
16 of getting on the same page in terms of control  
17 and datums and that kind of thing will really  
18 help in that analysis. Turn that around a bit.

19 ED WELCH: I don't recall during my two  
20 years on the panel whether we've ever had  
21 anybody from USGS talk about some of their  
22 programs. Has that happened prior to my coming  
23 on the panel?

24 It might be something we want to consider

1 putting on the agenda at some point.

2 Okay. We are about at our time --

3 Dr. Dionne, I know you had a comment.

4 Can you come up to the mike and make a  
5 quick comment?

6 DR. MICHELE DIONNE: Thank you. I know  
7 you want to stay on schedule.

8 Just as a user, this seamless mapping is  
9 extremely useful to anyone who wants to model  
10 circulation in marsh-dominated estuaries.

11 What happens, we have a circulation model  
12 for our system. We don't have good bathymetry,  
13 so it's very limited. It only models the  
14 channels, because we don't have that mapping of  
15 the marsh surface.

16 So if you want to understand how marshes  
17 and other coastal habitats respond to sea level  
18 rise or precipitation events, we need those  
19 models. So this kind of mapping is very  
20 critical.

21 And over the past couple of decades, we  
22 have been ourselves very frustrated in the lack  
23 of overlap between what's available from NOAA  
24 and what's available from USGS.

1           There's going to be a new mapping effort  
2 of the entire Northeast that USGS just received  
3 funds for.

4           So I think your comment about trying to  
5 close that gap are very timely, and maybe the  
6 person who's going to be involved and in charge  
7 of that mapping effort --

8           And I wrote several letters of support for  
9 that, and in every one I stressed the need to  
10 do the LiDAR at low tide, but they -- they  
11 basically -- it's not -- it's not an agenda  
12 item for them, so we'll get what we get for our  
13 site.

14           But if we could do essentially what you're  
15 doing in a small scale for a larger scale, get  
16 that low tide LiDAR information, overlap it  
17 with shallow water, that would be excellent.

18           And I'm sorry to take so much time.

19           ED WELCH: Thank you very much.

20           Okay. Any last questions for  
21 Dr. Borrelli? We appreciate it. Thanks very  
22 much for your presentation.

23           MARK BORRELLI: Thank you.

24           ED WELCH: Jill, do you need a minute to

1 recover?

2 Listen, when I came north, nobody could  
3 understand what I had to say either. They said  
4 get on with it. Get on with it. So I guess  
5 there's had a happy medium.

6 Okay. Our next presenter is Howard  
7 Danley, and he's going to talk about product  
8 distribution systems.

9 Welcome.

10 HOWARD DANLEY: Thank you.

11 Thank you for the opportunity to be here  
12 this morning and to give this talk. I'll do  
13 the same disclaimer that a number of NOAA  
14 people did yesterday, that I am not the one who  
15 initiated this. The person who initiated this  
16 item that's on your agenda couldn't be here  
17 today.

18 I have -- or have been associated with  
19 chart distribution, the paper side, for about  
20 the last 25 years, so I can talk on that. And  
21 I do know that there are several letters that  
22 have been forwarded to the panel for inclusion  
23 in the minutes or the notes, and so I've tried  
24 to insert some slides of my own to maybe add a

1 little background and a little history maybe.

2 Again, my name is Howard Danley, and I'm  
3 chief of Navigation Services Division in the  
4 Office of Coast Survey.

5 VIRGINIA DENTLER: Do you want to run it  
6 or do you want me to?

7 HOWARD DANLEY: Why don't you run it.

8 Okay. Some working assumptions that we --  
9 were made for this talk.

10 There are two broad markets that we look  
11 at, the commercial shipping and the  
12 recreational mariner market. They can both be  
13 subdivided more into niche markets or  
14 subdivisions of those markets, but for purposes  
15 of this discussion, that's fine.

16 The paper chart will probably continue for  
17 the next 15 years. We've heard this for the  
18 last 15 years -- I guess it's kind of a rolling  
19 15 years for paper -- before we go all  
20 electronic.

21 Because charts are mandatory by federal  
22 regulation for carriage requirements, we feel  
23 that this is a NOAA responsibility. And we  
24 also have the responsibility to see that

1 they're distributed.

2 Dropping down to the one that says 44 USC,  
3 the pricing statute, in 1986, Congress enacted  
4 what's called the pricing statute for nautical  
5 charts.

6 It's said that NOAA shall recover all  
7 costs of printing and distribution and may  
8 recover some cost or costs of database  
9 management, which kind of is a nebulous term  
10 that means compilation, though not the actual  
11 data collection.

12 And the next bullet I think may be one of  
13 the most important ones on the top.

14 Distribution has always been kind of an  
15 afterthought for the Office of Coast Survey.

16 We tend -- for a long time our  
17 distribution was taken care of internally for  
18 us. And in the last decade or so, some  
19 products that look at different ways of  
20 distribution, and some of those have caused us  
21 some problems, which is why we're talking this  
22 morning, and why we'll be asking for some help  
23 from the panel at the end.

24 The last bullet is about the United

1 Kingdom Hydrographic Office, or it's usually  
2 referred to as the Admiralty. They take our  
3 charts, copy them, directly reproduce them or  
4 use the data to compile their own charts. And  
5 then they sell them in US waters.

6 Products produced by the US Government are  
7 not copyrighted. Anyone can reproduce them, so  
8 that's really not the issue. The fact is,  
9 though, that they can do this and that they  
10 sell quite a number of charts in our waters.

11 Currently, our paper charts, what we refer  
12 to as lithographic charts, which just means the  
13 charts are run on a big press, are produced by  
14 the FAA. They print them and distribute them.

15 In the past -- I guess beginning in the  
16 mid '20s, aeronautical charting division was  
17 created in the Office of Coast and Geodetic  
18 Survey in -- I think it was inside the nautical  
19 charting division at that time, to produce  
20 aeronautical charts.

21 And they gradually became their own  
22 division, aeronautical charting division,  
23 within Coast and Geodetic Survey.

24 And eventually in the 1990s, the National

1 Ocean Service took an internal look at what it  
2 was doing, and it was decided that the  
3 aeronautical charting didn't really fit within  
4 NOS, and efforts were undertaken to move to a  
5 more logical fit, which at that time it was  
6 determined was the FAA.

7 When the aeronautical charting division  
8 moved to the FAA, they were given cost  
9 recovery, and they took also with them the  
10 printing and distribution of the nautical  
11 charts, which they've been doing for us for 60  
12 or 70 years, and they print and distribute them  
13 at no cost to us.

14 They recover their costs from the price  
15 when we sell the charts, and any excess goes to  
16 the Treasury.

17 Dropping down to the third bullet just for  
18 a minute, these -- I'm getting some -- again,  
19 some of these are my slides and some aren't, so  
20 I'll change the order a little bit.

21 I think the next product we developed were  
22 the raster nautical charts, the RNCs, and that  
23 was in the mid '90s.

24 And we went outside to a private firm to

1 produce and distribute those and had some  
2 issues around that, but we straightened them  
3 out.

4 And then the ENC's were -- put them up on  
5 the Web for free, and the RNC's are up there  
6 now, too.

7 The next product that we developed was the  
8 print on demand, and that became a viable  
9 product in about the year 2000. And again, we  
10 looked at a private company on the outside to  
11 create and distribute the print-on-demand  
12 charts through a network agent system.

13 The FAA managed the network distribution  
14 system of nautical agents, and OceanGrafix,  
15 when they began looking at -- they were  
16 building their network agents -- of agents,  
17 they looked at the FAA agents, and they  
18 recruited from those ranks to build up their  
19 agents system. And a lot of the agents still  
20 have some dual overlap with FAA and  
21 OceanGrafix.

22 This one I had some of my folks do kind of  
23 a quick schematic to how the electronic charts  
24 are distributed.

1           The -- we put finals up on a server for  
2     the POD that OceanGrafix picks up and  
3     distributes to their agents. And on the  
4     electronic side, we put the files up, and  
5     they're picked up by either an individual who  
6     wants to download a raster chart or an ENC  
7     chart, or they go to value-added distributors  
8     who package and sell them.

9           One point I would like to make at this  
10    point -- one -- this will be probably the last  
11    time I talk about the electronic charts in this  
12    talk, as we'll be concentrating mostly on the  
13    paper side, the lithographic and the POD, but  
14    we've --

15           Based on some experience we had with the  
16    raster charts, a company that distributed for  
17    us a couple of years ago, we like to look for  
18    redundancy in our distribution efforts. That  
19    company went out of business, left us in the  
20    lurch for about three months until we could  
21    recover.

22           FAA product distribution, back in I think  
23    2008-2009, the FAA was instructed to do an  
24    internal management study to look at

1 streamlining and efficiency and those kinds of  
2 things.

3 And beginning in FY10 they began  
4 implementing the results of that management  
5 study.

6 The parts that really concern us today  
7 have to do with the chart agent system. One of  
8 them was to establish a larger minimum annual  
9 sales for the chart agents.

10 Since about the 19 -- early 1970s, late  
11 1960s, somewhere in there, the minimum sales  
12 for a nautical agent has been \$500, which given  
13 the price of a chart back then, which was about  
14 a dollar, dollar and a half, it meant that the  
15 agent was selling somewhere around 600 charts  
16 or so back then.

17 In FY10, which began last October, the  
18 requirement was moved up to \$5,000, which at  
19 today's discount is maybe about 500 charts or a  
20 combination of charts and some other products  
21 that FAA distributes.

22 And there were some differences, some  
23 changes made to the discount. For most of my  
24 tenure, it's always been a 40 percent discount

1 with returns of obsolete product for credit.  
2 And another option has been added, a 50 percent  
3 discount with no obsolete return, which means  
4 the agent manages their inventory a little bit.

5 What this resulted in in proposing the  
6 \$5,000 limit, it decreased the number of agents  
7 from 1100 to about 100 agents today.

8 Another change that was made is the agents  
9 were allowed to recruit subagent sales outlets,  
10 which really is kind of a mouthful of words to  
11 mean that an agent can now have subagents under  
12 them, some outlets that sell charges based upon  
13 the agent's license. Or some of the agents who  
14 aren't quite making the 5,000 limit  
15 individually, they could combine. One of them  
16 become the agent, the other subagents, and they  
17 work out the terms of the agreement of how they  
18 would divvy it up amongst themselves.

19 Some chart agent concerns regarding the  
20 FAA changes. And the -- the NGA chart's no  
21 longer available. That was on the last slide.

22 I think that's one of the biggest issues  
23 that we've encountered right now. It's very  
24 important to -- I think a lot of the

1 print-on-demand agents were no longer selling  
2 NOAA charts but were selling the  
3 print-on-demand version, and they were also  
4 selling NGA, which is the National  
5 Geospatial-Intelligence Agency, which some of  
6 us may know as DMA from 30 years or so ago.  
7 They became NIMA, and I think they had some  
8 other names in between.

9 That's where I began my career many years  
10 ago with them.

11 This is really not an issue for NOAA, but  
12 it is an issue for some of the agents because  
13 of making the \$5,000 limit.

14 And also, again, there are some questions  
15 about what chart pricing -- and I think the FAA  
16 has floated a strawman, but chart pricing is a  
17 NOAA function, and NOAA has the authority based  
18 in legislation and statute, and NOAA will set  
19 the prices in conjunction with accounting data  
20 from FAA reflecting what the costs of  
21 presenting and distribution are.

22 Okay. One comment, just from my history  
23 in the last couple of decades, there have  
24 been -- Office of Coast Survey has caused many

1 or several -- maybe not many but several  
2 concerns what their agents are selling with the  
3 introduction products, such as the -- oh, the  
4 rasters, the PODs and the ENC's.

5 When we went to the ENC's, we'd put them up  
6 on the Internet for free. Free on the Internet  
7 is good. And then Captain Marx, who was one of  
8 our large agents and very good friend, we  
9 worked together for about 25 years, pointed out  
10 to me one day that we weren't giving him  
11 anything to sell and that he was answering all  
12 kinds of questions about them, which was  
13 costing him money.

14 So times we are -- we're really techies a  
15 the heart, and we don't think about the  
16 business side of the thing, which is really  
17 what this is about, the business side of the  
18 operation.

19 And Henry, Captain Marx, and I have done  
20 damage control on many of these, him working  
21 with the chart agent side and I'm working  
22 internally with Office of Coast Survey. Okay.

23 A similar schematic about how things work  
24 on the paper chart side with us and FAA, again,

1 we -- different files. They print them and  
2 they distribute them, the charts.

3 DoD is a huge buyer of NOAA lithographic  
4 charts for their operations, their ships,  
5 whatever, the agent structure, the 50 percent,  
6 40 percent.

7 And FAA currently does what we call house  
8 sales. If you call the FAA and you buy a  
9 chart, you can buy it over the phone with a  
10 credit card. Again, just a summary of the  
11 agent agreement.

12 It's interesting to look at the location  
13 of the nautical chart agents around the  
14 country. This is -- I had my folks just go  
15 into the website and start plotting where --  
16 the distribution of NOAA chart agents. I know  
17 there's a number that are in trouble, think  
18 there's no navigable water.

19 And I think the reason for this is because  
20 some of the aeronautical agents strictly have  
21 now decided that they will sell both thought  
22 call and aeronautical charts, and the reverse  
23 can be true as well.

24 Again, this is the FAA's international

1 chart agent locations. They sell to agents  
2 around the world who resell NOAA charts.

3 Location of the Admiralty chart agents,  
4 it's interesting to note that the Admiralty  
5 only has maybe a dozen chart agents around the  
6 country, and they sell -- some of the numbers  
7 are proprietary, so I'm not going to say them  
8 in public.

9 But if you add together the number of  
10 charts that we sell lithographically and POD,  
11 it's -- it doesn't exceed the Admiralty sales  
12 in our waters by a whole lot, so that's an  
13 interesting statistic.

14 And also just looking at paper sales of  
15 charts over the years, if you go back about 30  
16 years ago where it was strictly all paper, we  
17 were selling about two million copies a year.

18 Now there's been a steady decline since  
19 about the mid '80s, which was really when the  
20 price and statute was enacted. And it's  
21 decreased maybe 10 to 15 percent at midyear, so  
22 right now we're selling -- I think last year it  
23 was about 110, 120,000 lithographic charts, and  
24 then the POD numbers are proprietary.

1           Okay. Next chart.

2           And this again shows the distribution of  
3 the print-on-demand agents. And there are  
4 about 80 or so print-on-demand agents around  
5 the country.

6           One of the things that I've asked my --  
7 some of my folks to do is to start looking at  
8 really what is a generic distribution system.  
9 They came up with a kind of -- the information  
10 on the slide, manufacturer, wholesaler,  
11 retailer and the customer.

12           And to look at it from our perspective,  
13 we're the manufacturer, and either FAA or  
14 OceanGrafix is the wholesaler, and the retailer  
15 are the nautical chart agents, actual people.

16           And we as the manufacturer don't really  
17 have a direct link to the retailer. We know a  
18 lot of the people personally, as I know Henry  
19 and some of the other agents, but the -- it's  
20 kind of like there's a big gap out there, that  
21 we're working through the middleman and  
22 there's -- the feedback going both ways is  
23 sometimes limited until it gets strained. This  
24 is one of our big drawbacks.

1           So the reason this talk was originated was  
2 to bring some questions before the panel and  
3 ask for some help maybe to -- if you can ponder  
4 some of these questions, was the idea, such as  
5 what's the future of distribution, our  
6 responsibilities, what aren't our  
7 responsibilities, how the retail sales agents  
8 fit into all of this, what should our  
9 distribution relationship with FAA, NGA, the  
10 Corps of Engineers --

11           The reason the Corps of Engineers are up  
12 there is because they chart the inland rivers  
13 in this country, and there have been advocates  
14 over the years that the Army Corps of Engineers  
15 charts should be brought into the NOAA umbrella  
16 of distribution just to make things easy.

17           And public/private roles.

18           Next, please.

19           Hold these questions. This is not my  
20 slide, but I think I can talk about all of  
21 these points.

22           Should we be in the distribution business  
23 and we have our own thoughts there. Increase  
24 the distribution, use of charts,

1 responsibility.

2           The one there in the middle about the UK,  
3 we have looked at trying to compete head to  
4 head with the UKHO or the admiralty charts for  
5 a number of years.

6           We do an annual customer service survey,  
7 and we've asked our folks over the years why do  
8 you like Admiralty charts? And they come back,  
9 they say the size, the scale, the -- they're  
10 not cluttered, the colors and all kind of  
11 things like that.

12           So we try to emulate some of those charts,  
13 and we found out very quickly a lot of our  
14 customers didn't really like that.

15           So again, this is a -- there's a big  
16 question there as to why the Admiralty can sell  
17 the number of charts that they do at twice the  
18 price of a NOAA chart.

19           So we try to be -- possibly look at this,  
20 try to take it -- the market share back, and  
21 also what's usually referred to as the knockoff  
22 producers.

23           This is mostly in the recreational market  
24 because they don't have to meet carriage

1 requirements. People can take our charts, cut  
2 them up and rearrange the panels and so as book  
3 charts and things like that.

4 And a decision was made again back in the  
5 mid up 1980s that we wouldn't compete head to  
6 head with private industry on these types of  
7 charts.

8 And again, I think sometimes the pendulum  
9 is swinging the other way, and that was brought  
10 up again for should we look at that.

11 And the -- whether we should look at the  
12 discontinued transaction of NGA charts.

13 And let's go to the next slide, which is  
14 my last slide.

15 And really, it's to ask you guys as  
16 members of a panel, as an advisory panel, to --  
17 what do you think about the questions that have  
18 been brought up in the last two or three  
19 slides.

20 And just based upon the information given  
21 you, which is really barely scratching the  
22 surface of -- we've been in the chart  
23 distribution business for probably 170, 180  
24 years; but in the last few years, I guess as

1 the industry has changed, technology has  
2 changed, people are going from paper to chart  
3 plotters to ECDIS to whatever onboard a ship,  
4 the industry has to change with it, and the  
5 roles of people in the industry and what  
6 they're buying, selling and using are changing,  
7 too.

8 I've -- just in my career, I've seen the  
9 really rapid change since about the mid 1990s.

10 And at this point, I will stop.

11 ED WELCH: Okay. Thanks.

12 If I could -- if I could just start the  
13 questioning, some of the questions you posed  
14 about should we -- should we compete with some  
15 of these private sector folks or compete with  
16 the British system, isn't -- if you did and  
17 therefore ended up with increased purchases to  
18 the government instead of through these other  
19 sources, isn't it true the money wouldn't go to  
20 NOAA? It would just go in the general  
21 Treasury?

22 HOWARD DANLEY: Yes.

23 I think one of the things that we look at  
24 on that is the obligation that we feel that we

1 have to get the information and the data out  
2 there to as many people as we can.

3 Commercial shipping is pretty much in a  
4 case of have to because of carriage  
5 regulations -- carriage regulations.

6 However, the recreational community is  
7 one -- Elaine talked this morning, the  
8 recreational community is one of the areas that  
9 we see that we would like to really expand upon  
10 chart sales.

11 ED WELCH: Do you have any sense generally  
12 as to how much money comes into the government,  
13 say, on NOAA charts?

14 HOWARD DANLEY: I would be speculating at  
15 the moment. I can get that figure for you.

16 ED WELCH: And do you have any sense as to  
17 how much the British charts are -- the British  
18 systems are receiving as a result of their  
19 sales in the US?

20 HOWARD DANLEY: I do not have that number.

21 ED WELCH: I guess what I'm getting at,  
22 panel members, is, you know, depending on how  
23 much money or how little money we're talking  
24 about, and depending on assuming the money goes

1 into the general Treasury, maybe this is worth  
2 talking about or maybe this is a rounding era  
3 in terms of governmental budgets and that type  
4 of thing.

5       Maybe we can just not agonize about it too  
6 much.

7       Admiral West.

8       ADMIRAL WEST: Just a statement.

9       First of all, several years ago, the Brits  
10 told the UKHO that they had to make their own  
11 profit. They are no longer subsidized by the  
12 federal government, which you are, so they have  
13 to -- they survive on what they sell.

14       So they have a very aggressive marketing.  
15 And if you go there, it's impressive. And if  
16 you ever get to Taunton, you ought to go. It's  
17 a wonderful place to visit.

18       So that's the kind of the competition you  
19 have.

20       They also do some work for DoD, and they  
21 get money for that, so they have another source  
22 of funds.

23       So I'm not sure that you really can stack  
24 up competing with them. I agree with that. It

1 may not be in the weeds. So I'm not sure you  
2 want to try to do what they do, unless you want  
3 to try to be for-profit.

4 HOWARD DANLEY: Yes.

5 ADMIRAL WEST: Second question, I guess  
6 maybe for Elaine, too.

7 If you -- where do the everyday folks go  
8 get foreign charts now then if they don't go to  
9 the Admiralty?

10 HOWARD DANLEY: I think the chart agents  
11 are selling out the inventory that they have.

12 There are some agents who are dual agents  
13 with Canadian charts and you can get very --  
14 foreign charts from some of our agents as well.

15 That I do know.

16 ED WELCH: Tom Jacobsen was putting his  
17 hand up first.

18 TOM JACOBSEN: How many charts a year did  
19 you say are sold?

20 HOWARD DANLEY: We're selling -- I think  
21 last year it was about 120,000 litho, and there  
22 was a bit more on the POD side.

23 TOM JACOBSEN: Okay.

24 And the Admiralty charts you said are

1 about double that?

2 HOWARD DANLEY: Not quite, but that's the  
3 ballpark.

4 TOM JACOBSEN: Okay.

5 Also, how about the electronic charts, do  
6 you feel like you compete also with the  
7 Admiralty electronic charts?

8 HOWARD DANLEY: Not really in that venue,  
9 because there are international agreements that  
10 countries will not sell ENC's in each other's  
11 waters. So that market is not open to the UK,  
12 unless they want to become a licensed  
13 distributor of our charts.

14 TOM JACOBSEN: Okay.

15 Well, with everything going electronic and  
16 only selling 120 charts a year, I don't see  
17 it's a big concern.

18 HOWARD DANLEY: Okay.

19 TOM JACOBSEN: That's all.

20 ED WELCH: Gary, and then go to Elaine.

21 GARY JEFFRESS: Gary Jeffress.

22 Howard, does the Admiralty give NOAA  
23 credit for the source of the data?

24 HOWARD DANLEY: Yes. The -- it uses a

1 credit line on chart with the source of the  
2 data, it's stated.

3 It's also for our protection. If you're  
4 using someone else's data, you state thereon  
5 where you got it.

6 ED WELCH: In real little print, I bet.

7 HOWARD DANLEY: Yes.

8 It's usually right up in what we would  
9 call the title block, under right underneath  
10 the title of the chart, start talking about  
11 datums and things like that.

12 GARY JEFFRESS: So in actual fact, the  
13 NOAA -- Admiralty charts are helping to satisfy  
14 Thomas Jefferson's original mandate.

15 HOWARD DANLEY: Yes, that's exactly right.  
16 That's one way to look at it. That's one way  
17 that we looked at it for a number of years  
18 inside the office, that if someone was buying  
19 an Admiralty chart based on our data, the work  
20 word was getting out there.

21 If someone is buying a knockoff chart  
22 because it's based upon our data, the work is  
23 getting out there.

24 One of the things with the knockoff might

1 be currency, current -- the edition of chart it  
2 was made from, whatever. But any chart that's  
3 based upon our data that gets out there is --  
4 is really when -- serving that mandate.

5 ED WELCH: Elaine.

6 ELAINE DICKINSON: Thank you. Elaine  
7 Dickinson.

8 On the NGA charts, basically what you're  
9 saying is there is a source of  
10 US-Government-produced charts of foreign  
11 waters, but FAA is not going to carry them  
12 anymore, so no one can buy them.

13 So you're basically cutting the public off  
14 or FAA is cutting the public off from buying  
15 charts of foreign waters.

16 HOWARD DANLEY: Okay. Let me back up a  
17 little bit.

18 The NGA, or whatever they're called, in  
19 the early '90s and FAA, aeronautical charts at  
20 the time, entered into an agreement for them to  
21 distribute the NGA charts.

22 And they had a business relationship, and  
23 based on that business relationship, FAA  
24 decided that they could not -- no longer

1 distribute NGA charts and cover their costs,  
2 essentially.

3 I'm not going to go too much further than  
4 that, because it's really -- though I know some  
5 of it, I don't like to talk for other people.

6 And I do know, though, that NGA has been  
7 looking at other avenues for distribution, and  
8 they have not come up with one that I know of.

9 And really what's happening here, the  
10 reason this talk was originated was the crunch  
11 happened I think the first of this month.  
12 That's when FAA is really terminating the NGA  
13 distribution.

14 Mrs. Pat Banks is in the audience. She's  
15 with FAA.

16 Is that essentially correct, Pat

17 PATRICIA BANKS: Yes. And --

18 ED WELCH: Can you come up to the mike,  
19 please, and identify yourself?

20 PATRICIA BANKS: Good morning. I'm  
21 Patricia Banks. We just changed names, so you  
22 got to forgive me.

23 We're the National Aeronautical Navigation  
24 Services now. I manage the reproduction and

1 distribution team.

2 And NGA is still in negotiations right now  
3 with USGS to take over their chart  
4 distribution. And as Howard did say, back in  
5 2008 when we underwent our internal management  
6 review, it decided that to be more efficient  
7 with the NGA program, that it was no longer  
8 viable for us to distribute their products, and  
9 we gave them notice back then.

10 And I think what people need to understand  
11 is, it is NGA's public sale program, and it's  
12 their mandate to get the data out to the -- to  
13 the public. And we felt that 18 months was  
14 sufficient enough time for them to find someone  
15 else to -- to distribute their products.

16 But they had a couple of interests from  
17 the government printing office and another  
18 organization within the Department of Commerce,  
19 the National Technical Information Service, and  
20 neither of them have panned out.

21 So they're now in negotiations with USGS.  
22 And the last conversation I remember hearing  
23 was that they're trying to -- USGS is trying to  
24 determine what charts they would initially

1 start out with offering for sale to the public,  
2 until they can build up their inventory to take  
3 over distribution.

4 ED WELCH: Okay, thanks. If you could  
5 stay there just a minute, we might have some  
6 questions.

7 But let me -- first let me confess that I  
8 didn't know anything about any of this until  
9 about last night. But it sounds like to me --  
10 tell me if I'm being oversimplistic.

11 We're a NOAA advisory committee. We have  
12 a NOAA speaker. We're interested in NOAA  
13 charts. What we're talking about here is a  
14 product of a non-NOAA agency that up to now has  
15 been distributed through another non-NOAA  
16 agency, which NOAA also uses; but since some of  
17 the people that use NOAA charts also use these  
18 other charts, therefore we're interested in  
19 what users want, I guess, is -- is the scene.

20 But really NOAA is sort of a bit player in  
21 this.

22 Is this -- is this a correct  
23 characterization in this particular issue?

24 HOWARD DANLEY: Yes.

1           NOAA is on the sidelines of this one,  
2 other than the interest that the NOAA agents  
3 have in keeping their minimum sales to be an  
4 agent.

5           ED WELCH: Okay.

6           So not to -- not to make light of the  
7 problem or dismiss it, but I'm just wondering  
8 at least with this specific area, I think we're  
9 sort of getting towards the fringe of our  
10 panel's directive.

11           But that doesn't mean we can't talk about  
12 it.

13           So Elaine.

14           ELAINE DICKINSON: Yes, I have to disagree  
15 somewhat with your assessment, because think --  
16 I mean, I just spoke earlier this morning on,  
17 you know, an effort that's being made just to  
18 get people to carry charts.

19           And here we have NOAA chart agents who are  
20 being basically cut off from a source of charts  
21 that there are people who want them.

22           And I -- it sounds to me like since this  
23 whole thing went to the FAA, basically the  
24 chart distribution system -- at least from the

1 agent's point of view -- has been decimated.  
2 And it's just going to be harder and harder for  
3 people to buy these products, which I think is  
4 not really in the public interest at all as far  
5 as safe navigation goes.

6 ED WELCH: Right.

7 But does NOAA really have any leverage  
8 over the other two agencies?

9 I mean, I suppose they do if they said,  
10 look, we're pulling out of the FAA system,  
11 maybe the FAA wants them to pull out. I don't  
12 know.

13 Other comments or questions?

14 Jon.

15 JONATHAN DASLER: Well, I think NOAA is  
16 moving in the right direction. I have to  
17 commend them for when they started putting a  
18 lot of the ENC's and RNC's online, because I  
19 think that's brought a lot of -- it made easier  
20 access to chart updates and moving that  
21 forward.

22 And I think that the other side of that is  
23 what Elaine is pointing out. You would go out  
24 sailing, you'd go to a chandlery and you could

1 easily get a chart.

2 The problem was, a lot of those charts  
3 were, you know, out of date. They didn't sell  
4 enough, so their inventory was kind of old.

5 So, I mean, that's sort of a -- an issue  
6 there.

7 I guess I had a question on the frequency  
8 of the update on the Admiralty charts.

9 I mean, do they -- are those updated -- I  
10 guess what we're talking about here is I guess  
11 still lithographic charts, and is that  
12 update --

13 HOWARD DANLEY: Yes, updated with those  
14 corrections. It would be similar to the  
15 print-on-demand charts. Similar to the sale  
16 on --

17 ED WELCH: Again, stupid question, how  
18 can -- if Admiralty charts use NOAA charts as  
19 their basis, how can they be updated anymore  
20 regularly than NOAA charts?

21 HOWARD DANLEY: Again, rather than kind of  
22 speaking for someone else, Admiralty agents are  
23 usually called correcting agents, so you have a  
24 stack of charts and someone will hand-correct

1 those charts before they're sold.

2 ED WELCH: Okay.

3 HOWARD DANLEY: Whereas the  
4 print-on-demand, we're using files and remote  
5 plotters to do the same thing.

6 ED WELCH: Okay.

7 PATRICIA BANKS: And the Admiralty are  
8 required to update their charts. I don't know  
9 the frequency.

10 Do you know the frequency?

11 ED WELCH: Yes.

12 Elaine, do you want -- yes, come on up and  
13 identify yourself, please.

14 CAPTAIN HENRY MARX: Captain Henry Marx,  
15 Landfall Navigation. I am a chart agent, and  
16 I've been making notes. The Admiralty agents  
17 are required to update the charts. I don't  
18 know how often they get their [inaudible],  
19 weekly or biweekly, but if I have an  
20 inventory -- I am not at the moment an  
21 Admiralty agent, but the Admiralty agents are  
22 required to update their inventory on a regular  
23 basis.

24 So when you come buy an Admiralty chart,

1 it's updated in the last week or two to  
2 mariners.

3 One thing, you're talking about charts, my  
4 customers do not differentiate between a NOAA  
5 chart of Boston Harbor and a DMA chart. They  
6 all think they're the same charts.

7 ED WELCH: Okay. Thank you.

8 Any other comments or questions on this  
9 particular issue? I would point out -- and  
10 it's been referenced -- we've had distributed  
11 to us letters from several -- several letters  
12 from chart agents, and in the public comment  
13 period I'll ask that they be formally included  
14 as part of the record.

15 But they raise this and a couple of other  
16 issues, and so we want to draw your attention  
17 to that. And I guess, Elaine, as far as NGA  
18 and FAA and NOAA, I understand -- I mean, I  
19 understand the public policy problem. I'm just  
20 not quite sure if -- what -- I mean, we can say  
21 we don't like it, I guess, but I'm not sure --

22 I mean, it sounds like to me you got other  
23 federal agencies that have been for whatever  
24 reason not able to establish a continuous

1 satisfactory relationship between one another.

2 Is that -- is that a fair  
3 characterization?

4 PATRICIA BANKS: I wouldn't say we haven't  
5 been able to. It just got to the point where  
6 we needed to discontinue our agreement for our  
7 reasons to, you know, just become a more  
8 efficient operation.

9 And --

10 ED WELCH: They might pay you more if  
11 you'd be more efficient, right?

12 PATRICIA BANKS: No, that wasn't part of  
13 the deal, so...

14 And it really wasn't about getting paid  
15 more, but we have an initiative with OMB that  
16 we're trying to follow within the next five  
17 years. By 2013 we have to meet these  
18 obligations.

19 So, you know, just -- we try to work with  
20 the NGA to even help them transfer the  
21 distribution, but it...

22 ED WELCH: Okay. It's OMB's fault.

23 PATRICIA BANKS: No, no --

24 ED WELCH: No, no, we can blame OMB. You

1 can't, but we can.

2 Admiral West.

3 ADMIRAL WEST: I don't think we blow them  
4 off. I think we get them out, because this is  
5 a mess. There's about 500 agencies that make  
6 charts. I mean, why in the hell does the Corps  
7 of Engineers do rivers?

8 It's a mess. And the CMTS, or whatever  
9 the hell they're called, why aren't they  
10 addressing this and saying this is where it  
11 ought to be, ought to be in one place.

12 ED WELCH: Okay, Gary, why not? Gary.

13 GARY JEFFRESS: They're oblivious,  
14 Admiral. That's why.

15 ED WELCH: You weren't listening to me?  
16 CMTS.

17 GARY JEFFRESS: Hit me again.

18 ED WELCH: CMTS.

19 ADMIRAL WEST: Is that you?

20 GARY JEFFRESS: Sometimes, yes.

21 ADMIRAL WEST: Like probably? Why aren't  
22 they addressing the different challenges of the  
23 federal government to put out a chart?

24 ED WELCH: You don't have to answer.

1 That's a rhetorical question.

2 ADMIRAL WEST: And we don't have more time  
3 but I do think we should not dismiss that as a  
4 minor thing. I think it's something we ought  
5 to look at as a Hydrographic Services Review  
6 Panel, maybe a couple look at it, see if we  
7 can't work with NOAA.

8 NGA will always make charts. They have  
9 the confidential problem where -- not problem  
10 but -- but task for DoD, and others, so they'll  
11 always be there. Those charts will always be  
12 there, not always accessible.

13 But then you got UDAT, you've the Corps of  
14 Engineers, there's some couple other folks that  
15 make charts, but it's a mess, and maybe we can  
16 help sort it out.

17 ED WELCH: And it certainly makes no sense  
18 at all for any particular government agency to  
19 be producing data in whatever form, charts, and  
20 not have it -- not have a decent public  
21 distribution system for it.

22 Gary.

23 GARY JEFFRESS: So how difficult is it for  
24 NOAA to distribute 120,000 nautical charts

1 directly to the agents?

2           HOWARD DANLEY: You know, well, Sandy  
3 said, no printing presses, and it would be --  
4 it would be startup costs, things like that.  
5 Whereas if you can piggyback on something  
6 that's there, use it to -- to do that.

7           Plus, it's really not costing us anything  
8 to print the charts because of cost recovery  
9 there.

10           ED WELCH: Tom Jacobsen.

11           TOM JACOBSEN: Dick, you mentioned the  
12 Admiralty. They run it as a profit center,  
13 it's separate entity? How does that work?

14           ADMIRAL WEST: HO office in Taunton is  
15 now -- has to provide a business plan every  
16 year to break even, at least, you know, in  
17 selling charts. They're no longer part of the  
18 federal government, so they -- they market so  
19 they can survive.

20           TOM JACOBSEN: It might be something to  
21 look into as a model.

22           ED WELCH: But I assume that part of their  
23 model is they get to keep the money they  
24 generate.