

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEETING HELD BEFORE THE
NATIONAL OCEANIC AND ATMOSPHERIC ADMINISTRATION
HYDROGRAPHIC SERVICES REVIEW PANEL

ORIGINAL

MANCHESTER GRAND HYATT
SAN DIEGO, CALIFORNIA
THURSDAY, MARCH 31, 2005

ATKINSON-BAKER, INC.
COURT REPORTERS
610 West Ash Street, Suite 901
San Diego, California 92101-3347
(800) 288-3376

REPORTED BY: PATRICIA P. MACDONELL, CSR NO. 5692

FILE NO.: 9F0224B

1 A P P E A R A N C E S

2
3 VOTING PANEL MEMBERS:

4
5 SCOTT RAINEY, Chairman
HELEN BROHL, Vice-Chairman
6 ANDREW ARMSTRONG
JONATHAN DASLER
7 ELAINE DICKINSON
WILLIAM GRAY
8 SHERRI HICKMAN
LEWIS LAPINE
9 RICHARD LARRABEE
ADAM McBRIDE
10 ANDREW McGOVERN
MINAS MYRTIDIS
11 JOHN OSWALD
TOM SKINNER
12 RICHARD WEST
LARRY WHITING

13
14 NOAA EMPLOYEES:

15 CAPTAIN ROGER PARSONS, FACA Federal Official
16 MIKE SZABADOS
CHARLIE CHALLSTROM
17 STEVE VOGEL
BARBARA HESS

18
19 ALSO PRESENT:

20 RADM. SAM DeBOW
21 MIKE GIBSON
BRIAN GREENAWALT
22 VARIOUS MEMBERS OF THE PUBLIC
23
24
25

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

MEETING COMES TO ORDER:

4

OPENING PUBLIC COMMENTS:

63

FIRST PRESENTATION:

74

MIKE GIBSON, Chief

NOAA - Hydrographic Surveys Division

SECOND PRESENTATION:

180

BRIAN GREENAWALT

NOAA - Hydrographic Surveys Division

CLOSING PUBLIC COMMENTS:

221

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

HYDROGRAPHIC SERVICES REVIEW PANEL

SAN DIEGO, CALIFORNIA - THURSDAY, MARCH 31, 2005

8:00 A.M.

- - -

CHAIRMAN RAINEY: Good morning. I'd like to welcome everybody, members and the public. And thanks to the Hydrographic Society of America for the invitation and the great exhibits and the venue last night.

I would like to go ahead and call the meeting to order. And as part of our bylaws, we will take role of the members. I think what we'd like to do just real quick is run through a couple things, and I will turn it over to Captain Parsons for some other welcome remarks and introductions.

But just real quick, I think everybody saw or has been here long enough now to know where the heads are out by the elevators. And if everybody could just shut their cell phones down, and we'll go ahead and get started here.

Why don't we take a round turn and let the members introduce themselves by way of role call here.

Admiral Larrabee has a board meeting with his port authority, so we'll have him conferenced in for

1 some time tomorrow. He couldn't be with us today.

2 The mics here are live on the table, so you
3 just grab it and you can start talking, I think, and
4 we'll pick it up.

5 MR. SZABADOS: Mike Szabados with NOAA's
6 National Ocean Service, Director for the Center
7 for Operational Oceanographic Products and Services.

8 MR. DASLER: Jon Dasler with David Evans &
9 Associates, and Director of Marine Services.

10 MR. GRAY: Good morning. Bill Gray,
11 Gray Maritime.

12 MR. MYRTIDIS: Good morning. Minas
13 Myrtidis, Director for the NCL Group.

14 MR. OSWALD: John Oswald, John Oswald
15 Associates, Anchorage, Alaska.

16 DR. LAPINE: Lewis Lapine, a state surveyor,
17 state of South Carolina.

18 MR. WHITING: Larry Whiting, Terra Surveys,
19 Palmer, Alaska.

20 MR. ARMSTRONG: I'm Andy Armstrong, and
21 I'm the NOAA Co-Director of the NOAA University of
22 New Hampshire Joint Hydrographic Center.

23 MS. BROHL: I'm Helen Brohl. I'm director of
24 the U.S. Great Lake Shipping Association and panel
25 vice-chair.

1 MR. McBRIDE: I'm Adam McBride. I'm the port
2 director of the port of Lake Charles, Louisiana.

3 CHAIRMAN RAINEY: Scott Rainey with American
4 Pilots Association.

5 CAPTAIN PARSONS: Good morning. I'm Roger
6 Parsons. I am the designated federal official for
7 this FACA and the Director of Office of Coast Survey.

8 MS. DICKINSON: Elaine Dickinson representing
9 boat owners with Boat U.S.

10 MR. WEST: Dick West, Consortium for
11 Oceanographic Research and Education.

12 MR. SKINNER: Tom Skinner with Duran
13 (inaudible) Environmental Strategies.

14 MR. McGOVERN: Andrew McGovern with the
15 New York/New Jersey Sandy Hook Pilots Associates.

16 MS. HICKMAN: I'm Sherri Hickman, a pilot
17 with the Houston pilots.

18 MR. CHALLSTROM: I'm Charlie Challstrom,
19 Director of NOAA's National Geodetic Survey.

20 CHAIRMAN RAINEY: Okay. Thanks very much.

21 CAPTAIN PARSONS: What I'd like to do, since
22 we have a number of members of the public here they
23 may have not participated in this or listened to this
24 particular group in the past, is give you a little bit
25 of background on the why this Federal Advisory

1 Committee was established. And again, I apologize
2 for having my back to you.

3 This Federal Advisory Committee was
4 established by the Secretary of Commerce in
5 December of 2003 in accordance with the provisions
6 of the Hydrographic Services Improvement Act of 1998
7 and the amendments of 2002. Again, this panel was
8 established under the Federal Advisory Committee Act
9 and holds its meetings and activities in accordance
10 with that Act.

11 Let me review, just briefly, the Hydrographic
12 Services Improvement Act as it relates to this
13 particular panel. Again, this panel, and I'll quote
14 directly, "shall advise the administrator of NOAA on
15 matters related to the responsibilities and
16 authorities set forth in Section 303 of this Bill."

17 And briefly, Section 303 outlines the
18 responsibilities of the navigation services programs
19 within NOAA. And so this panel will advise the
20 administrator on issues related to standards for
21 hydrographic data, standards for hydrographic
22 services, geographic coverage of hydrographic
23 services, on national database of hydrographic data,
24 and contracts for the acquisition of hydrographic
25 services. It may also advise the administrator on the

1 procurement, lease, evaluation, tests, development and
2 operation of vessels and technologies necessary to
3 ensure safe navigation and maintain operational
4 expertise in hydrographic data.

5 Again, this panel may advise the
6 administrator on these issues. They are not limited
7 to these particular issues, but in general, it is all
8 things related to NOAA's navigational services
9 programs, which primarily resides within three offices
10 within the National Ocean Service: The Center for
11 Operational Oceanographic Products and Services, the
12 National Geodetic Survey, and the Office of Coast
13 Survey.

14 Its membership has 15 voting members. Those
15 15 voting members are appointed by the administrator,
16 and they are appointed based on their expertise in the
17 following areas: Hydrographic surveying, tides and
18 currents, geodetic and geospacial measurements, marine
19 transportation, port administration, vessel pilotage,
20 and coastal fisheries management. Essentially those
21 communities that are directly impacted by NOAA's
22 navigation services programs.

23 Fifteen voting members having expertise in
24 those areas. There are four nonvoting members. Those
25 nonvoting members consist of the co-directors of the

1 Joint Hydrographic Center, the director of the
2 National Geodetic Survey, the director of the Center
3 for Operational Oceanographic Products and Services,
4 and the designated federal official for this Federal
5 Advisory Committee is the Director of Office of Coast
6 Survey or his or her designee.

7 Terms of appointment are four years, with the
8 exception of the initial panel which is residing here,
9 five of the members are appointed for two-year terms,
10 five members are appointed for three-year terms, and
11 five members have been appointed for four-year terms.
12 Subsequent appointments to this panel will all be for
13 four-year periods.

14 Meetings are held no less frequently than
15 twice a year, and the goal of NOAA, and the National
16 Ocean Service, is to hold three to four meetings per
17 year, as necessary. Again, that is a general rundown
18 on the establishment of this particular committee.
19 Again, it was established in December 2003, and this
20 is the fourth meeting of this panel.

21 CHAIRMAN RAINEY: Okay. Thanks, Roger.

22 Can I just offer you the mic, and any
23 welcome remarks?

24 MR. ARMSTRONG: Good morning, everyone. On
25 behalf of the Hydrographic Society of America and our

1 co-sponsors NOAA, the U.S. Army Corp of Engineers,
2 Naval Oceanographic Office, the Western Dredging
3 Association, the Canadian Hydrographic Service, and
4 the Canadian Hydrographic Association, I'd like to
5 welcome you to the hydrographic conference today.

6 I noticed that a number of you were at the
7 banquet last night. I hope you enjoyed that. Today
8 we have a break in the panel schedule, which will
9 allow you to visit the conference, to attend either
10 part of a workshop, part of the technical sessions,
11 or visit the exhibits. And so I would ask you to do
12 any or all of those, and feel free to walk in and out
13 of those sessions. It's not so unusual, so don't feel
14 like you'll be disturbing anyone by doing that.

15 While I have the floor here, I'd like to
16 point out that there's an application for membership
17 in the Hydrographic Society of America. I'd encourage
18 you to join, a couple of reasons. One is we're always
19 happy to have new members, but the other is as a
20 member you will get access to The Seahorse, which is a
21 newsletter for the U.S. society and you'll get several
22 editions of Hydro International Magazine, which is a
23 trade magazine of hydrographic sciences that I think
24 would be of benefit to everyone in their duties here
25 on the Board.

1 So once again, welcome to the conference.
2 I hope you enjoy it. Please make yourself at home.
3 You're registered as a full participant in the
4 conference, and feel free to take advantage of
5 everything that's here. Thanks.

6 CHAIRMAN RAINEY: Admiral?

7 ADMIRAL DeBOW: Morning, everyone. My name
8 is RADM Sam DeBow. I know many of you. And it's
9 interesting that I was just reflecting on the
10 inception on how this all came about, the FACA. And
11 I actually was in the hydrographic program and haven't
12 been involved directly in it since about July 2003,
13 but I certainly was there when this whole panel was
14 initially formed.

15 Right now I'm the admiral in charge of NOAA's
16 fleet and aircraft, the ships and aircraft that
17 support all of the NOAA goals. And I'm really proud
18 to be here. I haven't been able to make many of your
19 meetings previously, but, you know, I'm probably one
20 of the more senior NOAA officials here, and certainly
21 I know Admiral Lautenbacher, if he had the
22 opportunity, he would have been here also.

23 I'm just going to talk in general, real
24 quickly, about where the fleet and aircraft are going
25 that support NOAA's missions. We, by law, you

1 understand that 50 percent of all of the work we do in
2 support of hydrography is contracted out, and that's
3 managed by the Office of Coast Survey and the National
4 Ocean Service. The rest of that work is done by the
5 NOAA assets internally. We have four hydrographic
6 ships that support that mission.

7 But some of the things I think that we should
8 look at is that hydrography is not about charting
9 anymore. It used to be just directly about charting,
10 but we're actually doing a lot of work in addition to
11 charting. Across all of the NOAA's line offices, we
12 have requirements for what I would call mapping, not
13 just hydrography. If you look at the use of
14 geographical information systems, GIS's, a marine GIS,
15 the baseline of the marine GIS is the bathymetry or
16 the hydrography. And you know the standards that
17 hydrography is done on is very specific and accurate,
18 and we see now, when looking through the budgetary
19 process in NOAA, that we need hydrography in support
20 of essential fish habitat mapping; certainly, since
21 December 26, tsunami inundation mapping. The run-up
22 of where a wave would go is really important across
23 the organization.

24 We have baseline requirements or what's
25 called a -- let's see, what would be called basically

1 baseline requirements for the satellites that we use
2 for remote sensing, we have to have mapping for that.
3 So I know that we're very specific about this panel
4 about hydrography in support of nautical charting, but
5 there's a lot of needs across the organization.

6 The other thing that I'm being required to do
7 by my boss is to look out over the horizon, look at
8 new technologies: AUV's, UAV's. A lot of people
9 think they're there today, and they are in one way or
10 another. But we're not just talking about just manned
11 vehicles, both ships, boats and aircraft, but using
12 those to do hydrography through remote sensing. I
13 mean, everybody thinks remote sensing is through
14 hydrography or through satellites, but actually it's
15 remote sensing across the board.

16 You're trying to type this? God help you.
17 We have it recorded, I hope. I didn't realize there
18 was a court stenographer here.

19 Anyhow, why don't I just stop. I just wanted
20 to say that there's a lot of needs inside the
21 organization outside of just hydrography in support of
22 nautical charting. And I'm happy to be here and I'm
23 really proud to be here. Thank you very much.

24 CAPTAIN PARSONS: Admiral, will you field any
25 questions on fleet-related activities --

1 ADMIRAL DeBOW: Certainly.

2 CAPTAIN PARSONS: -- either from the panel or
3 the general public?

4 CHAIRMAN RAINEY: Thanks. Any questions for
5 Admiral DeBow?

6 DR. LAPINE: Yes. Can you tell us what the
7 health of the fleet is and the health of the aircraft
8 that support the coastal mapping and hydrographic
9 charting program?

10 ADMIRAL DeBOW: That's a very good question.
11 We have -- the average age of our fleet is about 28
12 years old right now. And by the last conference
13 report from our appropriations bill in 2005, we
14 are required to do a study on fleet and aircraft
15 modernization. We did an internal study for that, and
16 that is now going through its processes of clearance
17 through the organization.

18 We're also working with the Office of Coast
19 Survey and other offices inside of NOAA to have a full
20 study on the cost benefit analysis of in-house versus
21 external, full study of requirements internally.
22 That's coming out of our programming and budget
23 process, it's called PPBES -- I'm trying to slow
24 down. It's really tough for a Philly guy to slow
25 down, but I'm doing it, I'm trying -- and we are

1 going to do that externally. We're not going to have
2 an internal study and address that.

3 Specifically, I know, Captain, what you're
4 looking at is our citation. Most of us that have been
5 in the organization a long time look at that as the
6 new jet or one of the new jets. It's 28 years old, 30
7 years old. And we will probably look at a different
8 platform to replace that in the modernization plan.
9 Hopefully, our goal is in 10 years to have a fully
10 modernized fleet of aircraft and ships based upon
11 the requirements that are being given to us by the
12 organization.

13 CHAIRMAN RAINEY: Okay. Thanks very much,
14 Admiral.

15 I had a couple other comments. And I had
16 been asked to advise everybody about the recording.
17 It turns out we were able to get a verbatim transcript
18 and an audio recording. So there are some folks not
19 fully engaged with the California operation right now,
20 so that's good. So we will have a good record of the
21 meeting in the transcripts here.

22 The other administrative business tonight,
23 there was apparently in one of the correspondence a
24 misprint. It's the Harbor House where the panel
25 dinner's going to be this evening, and we'll get

1 further information on that later this afternoon.

2 For the public, also, if you could, please
3 sign in for us so we've got a record. And if you do
4 wish to make some comments, I know Captain Parsons
5 asked that at the kick-off of the meeting for the
6 Hydro Society, but we'll adjust our schedule so that
7 before we break, we'll try to allow for some comments
8 here before our 11:00 o'clock break. And if you could
9 indicate if you have some comments to make on the
10 sheet there, and again we'll have a regular public
11 comments session at the end of our meeting on Friday,
12 as well.

13 We have received some prior public comments
14 that we'll enter into the record. We got four fishery
15 biologists from Alaska commented on the need, just as
16 Admiral DeBow just talked about in his remarks, the
17 need for backscatter information from multibeam sonar
18 echosounders and how that's helpful for Rockfish
19 habitat study, and that's in your materials in your
20 notebook.

21 This morning the board of NECSA has provided
22 some public comment, and we'll get that distributed,
23 and again, we'll take on public comments here during
24 the meeting those two times.

25 Why don't we take a look, and we'll go ahead

1 of them, and tomorrow we put them up front and decide
2 which ones we're going to designate to the working
3 groups.

4 CAPTAIN PARSONS: Roger Parsons.

5 Again, please, Bill, don't interpret what I
6 said as discounting your suggestion. I think it's an
7 outstanding one.

8 Let me follow up a little bit on what Helen
9 said. I think to bring these issues to the panel and
10 then have the panel decide what issues they're going
11 to tackle is exactly what has been suggested. And so
12 your suggestion is an ideal one, but at the same time
13 there are going to be issues that come to the panel
14 that the program offices of NOAA bring to you seeking
15 your advice and recommendations, and that's not to
16 discount the work that you can do on issues such as
17 you've brought up.

18 MR. DASLER: John Dasler. I'd just like to
19 comment on something Bill was talking about, but again
20 I think he touched on the real critical issue, and if
21 we can accomplish nothing else is supporting NOAA and
22 really getting out the statement that they are
23 underfunded and what we can do to improve that is, I
24 think, a really an important goal that we could set.

25 MR. GRAY: Absolutely.

1 CHAIRMAN RAINEY: Okay. And that -- I mean,
2 I guess what we just said here is exactly the process
3 we're trying to do. It's certainly clearly I want it
4 that the panel, you know, can bring forth. That's why
5 we're here, to bring up areas that we think are
6 important with NOAA, as well, and then be able to
7 consider the public, as well. So hopefully we'll go
8 forward.

9 Does anybody have any further things they
10 want to add on that topic?

11 Helen's asking on the Hydrographic Service
12 Improvement Act, which is up for reauthorization.
13 It will be kind of a new business or something that's
14 ongoing. But let me give Helen the mic and explain
15 that a little bit.

16 MS. BROHL: I'm sorry, I don't want to talk
17 all the time, but we do need to consider, and it will
18 be on the table tomorrow -- it's another thing, I
19 know -- but the Hydrographic Services Improvement Act
20 will expire at the end of '07, which means that in
21 this Congress, which is 2005 and 2006, reauthorization
22 language will be introduced, probably, and this
23 committee should decide whether it wants to make
24 recommendations to NOAA on how that language should
25 look.

1 The reason it should be brought up now and
2 not later is that we're already well into the first
3 year of the Congress. Generally, legislation is
4 introduced in the first year, which would be this
5 year, and you may have a hearing, there will be some
6 deliberations, depending on what's on the agenda. And
7 as you know, Congress is full of lots of stuff right
8 now, and probably HSIA is not at the top of the list;
9 therefore, you have to give yourself a whole nother
10 year to try to get it through. Because if it doesn't
11 go through, it will expire.

12 It doesn't mean Congress can't appropriate
13 monies, if they so choose, but it's a little bit more
14 convoluted. And we want to have that second year;
15 otherwise, it's completely reintroduced again in 2007.

16 The proposal is that the working groups, as
17 a combination, be given, let's say, a straw man piece
18 of legislation that I volunteered at the last meeting
19 to begin in discussion working with anybody who wants
20 to participate. It would be sent to perhaps all the
21 members, both working groups, they would comment as
22 they feel appropriate, and then a straw man would be
23 provided for further discussion, and that at the next
24 meeting we'd have actually something concrete to
25 review.

1 I realize it's more stuff, I understand, but
2 time-wise, if we do want to have some say and
3 recommendations to NOAA, who will comment on it one
4 way or the other, with or without our recommendations,
5 and will have impact on, with or without our
6 recommendations, then we need to proceed as soon
7 as possible.

8 CHAIRMAN RAINEY: Okay. Thanks, Helen.
9 Any further comments? John?

10 MR. OSWALD: Yeah. John Oswald.

11 I just had a comment on the HSIA. What's the
12 administrative or legal reason it does expire? I'm
13 involved in another act like this that doesn't expire,
14 Department of Interior Act.

15 MS. BROHL: Well, it's the authorization for
16 appropriations that technically expire. It has
17 authorized levels stated through FY '07. And at that
18 point, then, there is no real authorization for future
19 appropriations, and at that point I believe that this
20 committee technically no longer exists unless it's
21 reauthorized to exist.

22 So we have an interest in it, primarily, I
23 suppose, through the way it expresses and outlines
24 how this committee looks. And then there would be
25 authorized levels of funding based upon line items

1 that are directly under our interest. And we would
2 want to, you know, look at all those and see if we
3 wanted to make recommendations after a year or two --
4 a year under our belt as the panel, if there's things
5 that we want to change, expand, improve on. So
6 technically it has an authorization through FY '07.

7 CAPTAIN PARSONS: Yet NOAA will be going
8 forward in the process with some suggestions for
9 additions and deletions to the Hydrographic Services
10 Improvement Act. So I would certainly say that the
11 panel weighing in on areas such as this is important.

12 CHAIRMAN RAINEY: And, of course, just the
13 last thing to add, also, is just obviously we're stood
14 up to advise the administrators of our, you know,
15 advice and recommendations for the HSIA or any of the
16 organic acts or some of the IOOS bills and things
17 would be advice from us to the administrator regarding
18 NOAA hydro services and how they might impact on that.
19 But suffice it to say, there's a considerable amount
20 of legislation working through on ocean issues that
21 are relevant to the hydro services in the next
22 Congress, this Congress. So that's something that
23 we may be able to provide some comment on.

24 Okay. It's been suggested that we take a
25 break here. And Captain Parsons advised that Captain

1 Gibson could be available to do his presentation at
2 10:00, and then we would provide an opportunity for
3 public comment after that.

4 I haven't been able to sneak out and see the
5 list, but are there folks here today that wanted to
6 make some comments this morning to the panel?

7 Okay. I think probably shortly before, right
8 around 11:00, then, we can do that following Captain
9 Gibson's presentation. Is that --

10 CAPTAIN PARSONS: Maybe we could do that now.

11 CHAIRMAN RAINEY: Okay. Why don't we do that
12 now, and then we'll take a break after.

13 Could I maybe ask -- I'll pass the mic
14 around, just to give the public an opportunity.
15 Again, I apologize for the seating here, but maybe
16 you could introduce yourselves and we'll open it up
17 for public comment.

18 THE PUBLIC: My name's Fred Ganyon.
19 I'm the president of IIC Technologies, which is a
20 digital mapping company. Eight years ago I retired
21 from NOAA as the executive director of NOAA'S Office
22 of Coast Surveys. So I have a very strong interest in
23 your activities, and I wish you well.

24 THE PUBLIC: I'm Colin Kinneger. I'm the
25 treasurer of the Hydrographic Society, but I'm here in

1 my role as treasurer of the Maritime Association of
2 the port of New York and New Jersey.

3 THE PUBLIC: Steve Vogel, NOAA.

4 THE PUBLIC: Michael Slotsin, NOAA National
5 Geodetic Survey.

6 THE PUBLIC: I'm Cleo Brylinsky from the
7 Department of Fish and Game in Sitka, Alaska. And I
8 submitted some written comments to you. I don't know
9 if you wanted me to talk about that now at all, but --

10 CHAIRMAN RAINEY: Sure, that's fine. First
11 let's let the other folks go ahead.

12 THE PUBLIC (Brylinsky): Okay.

13 CHAIRMAN RAINEY: And I mentioned it earlier,
14 that we talked about it. And I don't know if you were
15 in the room when Admiral DeBow talked about it --

16 THE PUBLIC (Brylinsky): Yeah, I did hear his
17 comments.

18 THE PUBLIC: Eric James from Sea Map,
19 producer and distributor of electronic charts.

20 THE PUBLIC: John Pepper, head of commercial
21 development at the United Kingdom hydrographic
22 office.

23 THE PUBLIC: I'm Paul Fielding, U.K.'s
24 hydrographic liaison officer over here in the States,
25 liaisoning with Office of Coast Survey, NGA, the U.S.

1 Navy, but also with Canadian Hydrographic. And I'm
2 very interested in any sort of international lessons
3 we might learn from seeing the way you do business
4 here.

5 CHAIRMAN RAINEY: Okay, thanks.

6 We can open up the floor.

7 Under Tab F, I think the panel will find the
8 paper submitted regarding the importance of the
9 backscatter information.

10 THE PUBLIC (Brylinsky): Once again, I'm
11 Cleo from Sitka, Alaska. I don't know if you've had a
12 chance to look over the comments that I submitted,
13 but I wanted to thank the NOS part of NOAA for all
14 the cooperation that they've given us so far.
15 Particularly workers on the West Coast have made data
16 collected by NOAA available to us as fisheries'
17 managers for use in determining habitat maps for
18 Rockfish research, particularly in the southeast
19 Alaska region.

20 And Alaska's kind of divided into three
21 sections, the way we manage Rockfish, so the people in
22 the Central Gulf also are using NOAA data, or trying
23 to use it, to map habitats for crab fisheries, and out
24 West also for the crab fishery/commercial fishery
25 management.

1 So particularly, I just basically have one
2 point, and that was that often the ship Rainier is
3 used in the southeast area of Alaska for the deep
4 water work, and that ship is equipped with an ELAC
5 system that doesn't collect useful backscatter
6 information. And so while the bathymetry is very
7 useful in its own way, the backscatter is essential
8 to coming up with detailed habitat maps.

9 And so as the fleet is getting modernized,
10 I just wanted to specifically request that if the
11 Rainier is equipped with a new system, that it be a
12 Reson system. I think that's the one that collects
13 the right backscatter.

14 And just one other thing. I know that NOAA's
15 been mandated to make their information available to
16 second party users like National Marine Fishery
17 Service and Alaska Department of Fish and Game, or
18 probably other fish and game offices all around the
19 U.S. And I don't know if there's any particular
20 person that has been designated as sort of a liaison
21 to go between NOS and those of us that are trying to
22 use the data.

23 We spend -- you know, we don't mind at all
24 traveling down to -- like, for example, I travel to
25 Sand Pointe office on the West Coast to actually

1 physically collect the data onto a hard drive. But
2 I notice that when I'm there, while all the workers
3 are exceptionally helpful, they have already got a
4 full plate of stuff that they're doing, and they have
5 to take time out from their regular work to sit with
6 us and help us get on their computers. And they had
7 suggested to me that they could use, you know, some
8 more help in just having a liaison that would work
9 with all of us. So I just wanted to add that as
10 another request.

11 Do any of you have questions about the
12 comments that I submitted?

13 CHAIRMAN RAINEY: Jon?

14 MR. DASLER: Yes. Jon Dasler.

15 I'm not sure if you can answer this or not,
16 or maybe NOAA can. Do we know if that's snippets data
17 off the 8101 or conventional backscatter?

18 THE PUBLIC (Brylinsky): I believe that --
19 well, I don't know exactly which Reson equipment can
20 collect snippets. I know the 8111 can, but I don't
21 know if the others do. Whether or not it's snippet
22 data, it's still useful to us. It doesn't have to be
23 snippet data in order for it to be useful. That
24 certainly is even better, but before the snippet data
25 was extractable, the type of backscatter was still

1 useful for habitat mapping.

2 CAPTAIN PARSONS: Let me point out, also,
3 that the data collected by NOAA vessels and by
4 contractor services eventually gets archived at the
5 National Geodetic Data Center or Geophysical Data
6 Center in Boulder, Colorado.

7 There is a time lag between when the data's
8 collected, the data's processed, and the data's then
9 transferred to NGDC. So that data will become fully
10 available. There are opportunities, if users need the
11 data sooner than it can get to NGDC, that we can make
12 it available. But as a matter of course, the policy
13 will eventually be when it goes to NGDC, that is
14 available to everybody and anybody. But we'll
15 certainly take your comments into consideration.

16 THE PUBLIC (Brylinsky): Yes. Thank you.

17 CHAIRMAN RAINEY: John?

18 MR. OSWALD: The state of Alaska has an ocean
19 policy coordinator now. Have you discussed with the
20 State, the governor's office, of potentially using
21 ADF&G vessel with backscatter?

22 THE PUBLIC (Brylinsky): No, that hasn't
23 been -- well, I think we did talk about just probably
24 briefly an idea about putting some sort of multibeam
25 system on one of our vessels, but we'd also have to

1 have a trained technician or two, and I don't know
2 that the department could support that kind of data
3 collection. It's pretty specific.

4 MR. OSWALD: A follow-up question.
5 Specifically in Alaska you have vessels besides the
6 Rainier. They're working in fisheries areas this
7 year. And Captain Parsons or Mr. Swallow here could
8 give you the rundown, but there's a joint effort
9 between NOAA and a variety contractors, particularly
10 in Southwest Alaska, particularly in Dutch River.

11 THE PUBLIC (Brylinsky): Right, yeah.
12 And then also the vessel Fairweather has come
13 on line, too, right?

14 MR. OSWALD: Yes. One other comment.

15 Some of the other people here are probably
16 involved. John Oswald.

17 Alaska has -- like the other regions of the
18 United States funded by NOAA, Alaska is funded by
19 earmark who has an ocean observing group, an Alaska
20 ocean observing system. I don't know if you
21 coordinate with them, but they had a regional workshop
22 in -- maybe it's this week in Juneau, and they were
23 looking at some of these issues, not -- a little bit
24 backscatter. But we recently attended a workshop in
25 Homer where NOAA CO-OPS was there, HAZMAT people,

1 PMEL, Coast Survey, the research lab under
2 Captain Parsons, to come up with a strategy for the
3 Cook inlet, sort of Shelikoff region.

4 This is diverging a little bit from Cleo's
5 thing, but every focus group in that conference
6 came up with the No. 1 priority in that region is
7 high-resolution multibeam bathymetry -- you know, our
8 wish list -- and lidar for shoreline mapping. So I'll
9 just toss that out. And those recommendations will be
10 on the AOOS Website.

11 CAPTAIN PARSONS: If I might point out, and I
12 think it's been mentioned several times to this panel,
13 that there is an initiative underway within NOAA,
14 something we called "Integrated Ocean Mapping," and
15 that's taking a look at where fisheries are surveying,
16 where Coast Survey is surveying, where the other
17 programs are surveying, to ensure that we are
18 collecting as much data that is useful to as many
19 programs as possible; that when the Fairweather and
20 Rainier and Thomas Jefferson Rudy go out, that they
21 are not strictly supporting the nation's nautical
22 charting program; that they are supporting a central
23 fish habitat mapping; that they are supporting bottom
24 characterizations, supporting a number of programs
25 that can utilize the data collected by the sensors

1 on board a particular platform.

2 Same thing when the new fisheries research
3 vessels are deployed, they will have multibeam systems
4 on board, ostensibly for habitat mapping. But we are
5 working closely with fisheries to ensure that the data
6 they collect meets minimal Nautical charting
7 standards, so that we don't have to send an asset back
8 there one, two, three years later to collect similar
9 types of data. That's been recognized in the Ocean
10 Action Plan; that's been recognized in a
11 newly-introduced bill, Coastal and Ocean Mapping
12 Integration Bill, the need to integrate programs and
13 then consolidate resources so that we are collecting
14 as much data that is as useful to as many programs as
15 possible. That's been realized, and we are hopefully
16 doing a better job as every month goes by to
17 coordinate those type of activities.

18 MR. McBRIDE: Captain Parsons, Adam McBride.

19 When I read Cleo's notes, and as I'm
20 listening to the discussion, and I am not technically
21 familiar with the meaning of backscatter, and I'm
22 interested in knowing when you're doing your multibeam
23 work for bathymetry purposes, what's the marginal
24 effort, capital or manpower required to acquire
25 backscatter information, and how does it impact either

1 on a time frame or budgetary basis your principal
2 activities in bathymetry mapping?

3 CAPTAIN PARSONS: No impact, whatsoever.

4 John, correct me if I'm wrong, but we do
5 collect and archive the backscatter data.

6 MR. OSWALD: If we can. Mainly it's a data
7 storage issue that has a problem, but other than that.
8 And we do collect -- we're required to collect
9 backscatter data everywhere we can.

10 MR. DASLER: Jon Dasler. I'd like to make
11 a comment on that also. It's also, from a
12 hydrographer's standpoint, too, collecting
13 backscatter's the same instrument. You're not
14 deploying anything in addition to it. It's the same
15 instrument, it's just having that option on board.
16 But as hydrographer, it's also useful in evaluating
17 anomalies.

18 In other words, when we're doing these kind
19 of surveying, we're really not just mapping, trying to
20 find the uniform bottom, but we're trying to find
21 anomalies. And all of that information is useful,
22 and it's nice to see it can be used for something
23 else, as well.

24 CHAIRMAN RAINEY: Okay. Thanks very much.

25 I mentioned it this morning. Mr. James from

1 Sea Map had provided public comment on behalf of the
2 board of NECSA, and Barbara has that and it will be
3 distributed to the panel and made part of our record.

4 Do you have any comments you wanted to make
5 on that?

6 MALE SPEAKER: I think I'd rather have the
7 letter passed out so that we can see the comments, and
8 it may be more appropriate to go over it tomorrow.

9 CHAIRMAN RAINEY: Okay. So that's in the
10 offering, as well, then.

11 Are there any other public comments, then, at
12 this time?

13 Okay. Why don't we recess for a 10-minute
14 break, and then we'll have Captain Gibson come and
15 give us his presentation then after the break.

16 Thanks very much.

17 (Morning break.)

18 CAPTAIN PARSONS: We have Mike Gibson, Chief
19 of the Hydrographic Surveys Division, that will give
20 an overview on a study the Office of Coast Survey
21 wants to conduct here probably towards the end of
22 the year.

23 I think you're all aware of the now infamous
24 KPMG study that was done in September 2001 that
25 sought to capture the relative cost of conducting

1 hydrographic surveys between the private sector and
2 NOAA in-house capabilities.

3 And what Mike will do is brief out here on a
4 renewal of that study how we are proposing to approach
5 it and what type of advice or recommendations we are
6 seeking from this panel.

7 Mike?

8

9

FIRST PRESENTATION

10

MIKE GIBSON

11

Chief of the Hydrographic Surveys Division

12

13

MR. GIBSON: Okay. Thanks a lot, Captain.

14

First of all, I'll apologize in advance.

15

Hopefully, I'll get through this without going into

16

a coughing attack. I'm having a little bit of a sinus

17

condition, but maybe it will hold off for a few

18

minutes while we go through this.

19

And I'd also like to invite Jeff Ferguson and

20

Brian Greenawalt, if I miscue anything or if there are

21

any questions that I don't know the answers to, feel

22

free to hop in and correct me quickly. So with that,

23

I'll go ahead and get started.

24

What I've decided to do is to give you a

25

little bit of a background. I'm going to try to tell

1 the story about how we got to this position of wanting
2 to do a cost analysis and why it made sense, and then
3 present to you what I think we'd like to do going
4 forward, and leave you with a request to help us or
5 to give us a recommendation on our strategy for doing
6 this.

7 So just to start out, back in the mid or
8 early '90s, I guess NOAA was asked to prioritize
9 its survey mission. We have responsibility for
10 essentially three-and-a-half million square nautical
11 miles of survey area, and that's a monumental task.
12 It would take an enormous amount of financial
13 resources and also of ship time. So in looking at
14 what was most navigationally significant, we came
15 up with an area that was just over 500,000 square
16 nautical miles, and we wanted to figure out how to
17 most effectively go about surveying that area.

18 The other thing that had been happening was
19 a steady decrease in the amount of vessels available
20 to this program to undertake its surveying
21 requirements. So starting in the mid to late '90s,
22 Congress augmented NOAA's budget with resources to
23 allow us to partner with the private sector to
24 undertake some of these enormous surveying
25 requirements that we had.

1 In addition to what we call the "turnkey
2 contracts," there was also interest from the ship
3 building and leasing industry to lease vessels to
4 the Federal Government for undertaking its ship
5 requirements. And we had actually begun to undertake
6 the contract with the private sector, so we thought
7 that it would be a good idea to try to evaluate the
8 costs of surveying using a variety of alternatives.
9 So we undertook, in 2001, a cost analysis, which the
10 captain mentioned, and we'll talk a little bit about
11 that in a minute.

12 Okay. I already went through the fact that
13 we have this over 300 million square nautical miles of
14 EEZ of responsibility. 500,000 square nautical miles
15 that's navigationally significant; that's my main
16 concern. And of that, a subset of the 500,000 is
17 what's most critical; that's my primary or highest
18 priority concern.

19 So if you look at over the last 15 years,
20 the ship capacity available to NOAA, you can see that
21 there's been a steady decline, and what I'm left with,
22 or what I was left with at the time we did the first
23 cost analysis, was the NOAA ship Rainier; the NOAA
24 ship Whiting, which was replaced by the Thomas
25 Jefferson -- it's a similar size vessel, so I just

1 show the Thomas Jefferson there -- and the NOAA
2 ship Rudy.

3 And you can see the costs for operating those
4 ships for a full fiscal year, and you can see in the
5 extreme right-hand column the approximate number of
6 square nautical miles I'm going to get per year from
7 those platforms. So what you also can realize from
8 that is those vessels are fairly efficient. I'm not
9 going to get very far down the path of completing my
10 requirement with just those three assets.

11 In 1996, NOS established a contracting policy
12 that essentially set the standard, the tone, for us
13 contracting hydrographic survey services, and it also
14 stated that we would use what's known as the Brooks
15 Act A & E contracting procedures. And this was
16 reiterated by the 1998 Hydrographic Services
17 Improvement Act, which also authorized contracting to
18 the greatest extent practicable and cost-effective.

19 So starting in 1998, that's when we really
20 got our first contracting line item, per se. You can
21 see that in '98 we had almost \$9 million worth of
22 appropriations specifically for contracting for
23 hydrographic survey services, and since then that
24 number has undulated around the \$20 million figure,
25 with 2004 being just a little over 22 million.

1 So this issue of the Hydrographic Surveys
2 Improvement Act, it, you know, comes up or is analyzed
3 regularly as we go about our business. The purpose of
4 this act was to rapidly decrease the critical survey
5 backlog, to increase our opportunities to partner with
6 the private sector to complete our requirement. It
7 did require the use of Brooks Act A & E contracting to
8 secure these services.

9 The Act was also interested in the
10 promulgation of standards for hydrographic surveying
11 and ensure that we meet the quality that's required
12 for the charts to be used by the maritime community,
13 the development and implementation of a quality
14 assurance program for nautical products, and very
15 important was the maintenance of hydrographic
16 expertise within NOAA.

17 So as we go back, and this is just a snippet
18 from the Act itself, and the key word I wanted to
19 focus on was that we may "procure, lease, evaluate,
20 test, develop and operate vessels, equipment and
21 technologies necessary to ensure safe navigation and
22 maintain operational expertise."

23 In addition to that, in 2000 there was a
24 hearing on navigational services before this
25 subcommittee on fisheries, conservation and wildlife

1 and review and approve our summary record from the
2 Norfolk meeting. That was distributed over the email
3 sometime ago and been up on our Website. It's under
4 Tab A in your notebook. And I'd like to go ahead and
5 open the floor up for approval of that.

6 The suggestion is we'll go ahead and just
7 briefly go through it. We're just talking about the
8 substantive things here after the introduction. We
9 took a look at the proposed certification requirements
10 for distributors of NOAA electronic navigational
11 charts and NOAA hydrographic products. We had a
12 briefing from Dave Enabnit, the technical director
13 from Coast Survey, and we reviewed the federal
14 register and provided comments to that.

15 We looked at the proposed quality assurance
16 and certification program for NOAA hydrographic
17 products. Similarly, we had a briefing and we
18 provided recommendations to NOAA. We discussed the
19 strategic plan for the National Ocean Service in the
20 next five years. We had some general comments on
21 that, but we did not have a consensus on remarks we
22 wanted to make at that time, and we had decided that
23 we would continue that work as one of the main things
24 that we're looking at with this panel would be ongoing
25 work, and we'll be specifically looking at it with

1 some of the work groups that we've recently stood up.

2 And we talked about the first annual
3 Integrated Ocean Observing System Development Plan,
4 and we discussed that and provided comments to NOAA on
5 that. And to Ocean.US, that's correct.

6 And all of our recommendations I'll talk
7 about here in a minute, but one of the things that
8 we've done in the interim is to revise and upgrade our
9 Website, and all of those recommendations from the
10 panel are listed there.

11 We had a report out on follow-up on our
12 previous comments on the NOAA Hydrographic Survey
13 priorities and many have our recommendations with
14 implemented in the plan, which has been published,
15 And as to the presentation on the U.S. Commission and
16 Ocean Policy Report, some of the issues that are
17 relevant to our work with the FACA.

18 Next thing is Bill Gray had cited an
19 International Shipping Industry Facts site with some
20 good information, relevant information. We discussed
21 the communication of our recommendation on PORTS, and
22 subsequently -- I believe we'll talk about it later,
23 but we've gotten a letter back from Dr. Spinrad and
24 that recommendation has been moved on. It's on our
25 Website, and we'll talk about some things that we're

1 looking at doing on our communications vote. And,
2 again, that goes right into the next thing on the
3 tracking system we'll talk about in just a second.

4 The next main thing that we discussed was
5 the proposed working groups, and we elected to push
6 for the first and second work group, Modeling and
7 Observation Systems and NOAA's Hydrographic Services
8 Roles and Missions, and those were forwarded, and we
9 received last week the official sign-off and approval
10 from Vice Admiral Lautenbacher, and I'll talk briefly
11 again on his decision memorandum that stands those
12 up officially. So we're good to go on those work
13 groups.

14 We talked about -- Mr. Oswald talked about
15 the need for more surveys in some critical areas up in
16 Alaska. He gave a presentation on that. We also
17 discussed the provision of the recent Coast Guard
18 authorization for them to promulgate regulation
19 requirements for electronic chart carriage.

20 Okay. And then Captain Parsons reviewed the
21 operating principals. And then the next we have
22 public comment from David White of the Hampton Roads
23 Maritime Association on the importance of PORTS to
24 that area. And then a comment on hydrographic surveys
25 and marine mammals from the public.

1 I'll go ahead and open the floor for
2 discussion or comments on that.

3 MR. SKINNER: Tom Skinner. I'm the director
4 of the CZM program in Massachusetts, or on Page 8 it's
5 still listed that way. I'm not the director of CZM.
6 I'm trying to keep it honest so I won't lead people
7 astray here.

8 MS. BROHL: Helen Brohl. I move that we
9 approve the minutes.

10 MR. GRAY: Second.

11 CHAIRMAN RAINEY: Okay. Any discussion?
12 No?

13 All in favor?

14 PANEL MEMBERS: I.

15 CHAIRMAN RAINEY: All opposed?

16 Thank you. Then it's approved.

17 MR. ARMSTRONG: Mr. Chairman, if you'd excuse
18 me, please. I have some conference duties to look
19 into. Thank you.

20 CHAIRMAN RAINEY: Thank you so much.

21 The one thing maybe we'll enter into each
22 area. If you look down the agenda, you'll see that
23 later today we're going to have an opportunity to
24 actually attend some of the sessions. So in addition
25 to catching the exhibits and things when we can, we've

1 programmed into our work here to attend some of the
2 sessions this afternoon, as well. So it's been a real
3 privilege and advantage for us, I think, to be able to
4 be here in conjunction the Hydro Science. So thanks
5 so much.

6 MR. ARMSTRONG: Thank you.

7 And I'd just also like to point out that one
8 of our members, John Oswald, will be leading that
9 session. So thanks, John, for that.

10 MR. OSWALD: It's free.

11 CHAIRMAN RAINEY: All right. We'll go ahead
12 and proceed. And just a quick reminder for the
13 benefit of our recordings here, if you'll go ahead
14 and introduce yourself when you pick up the mic, and
15 speak into in the mic so we can catch this on our
16 record. All right?

17 That is pretty much what I had for the
18 administrative business, and it sort of segues right
19 into the next thing. If you look down the agenda on
20 the deliberation and advice and work group process,
21 and I have a little sheet here that I'd like to run
22 through, but -- Barbara, if you wouldn't mind, can we
23 just put the slide in the -- we've done sort of a
24 wire gram flowchart of how we think this is going to
25 work.

1 MS. HESS: It's in M.

2 CHAIRMAN RAINEY: I believe it's under
3 Tab M, Mike.

4 A fair amount of work since our Norfolk
5 meeting has been to try to streamline our process here
6 and so we can get to the substance of the matters and
7 work out our communication link. And I just wanted to
8 take a minute, discuss some of the results, I guess,
9 of our talks.

10 We've had some meetings with the work group
11 chairs that are stood up now, and myself,
12 Captain Parsons, Helen as our vice-chair, and this is
13 what we're suggesting. In the conduct of the meetings
14 I had some ideas based on our previous meetings that
15 I'd like to implement, and that is for the benefit of
16 our recordings -- some of this is pretty common
17 sense -- but the chair or presenter, whoever has the
18 floor, will recognize the speakers for comments, and
19 we need to speak one person at a time. And we'll try
20 to limit our comments to, again, a few minutes or five
21 minutes, as it needs be, and have everybody have an
22 opportunity to weigh in.

23 What I'd like to try to do is move around the
24 table in a way that if you have a comment, we'll try
25 to stay on that comment and topic to get the comments

1 in on that, and then we can move on.

2 And then the last thing I'd like to suggest,
3 from our previous experience, is that if we have a
4 motion that is going to be a recommendation or
5 resolution, let's require that it be in writing so
6 that we know exactly what we're voting on and we can
7 get that recorded accurately. We've had some
8 confusion in the past with some of our motions and
9 recommendations. So if you have something that is
10 going to be a new recommendation or, you know,
11 position of the panel, let's get that down in writing
12 so we all are clear on what we're voting on.

13 So that's kind of, you know, some ideas on
14 just minor things in the meeting. But if we can
15 talk about the process a minute, one of the things
16 that's going to help us I think tremendously is we've
17 got the work groups stood up, and as we get to the
18 task in the work groups, we'll have a chance and an
19 opportunity to go through some information.

20 Now, all of this work will be pre-decisional,
21 and then it comes back to the public in an open
22 meeting and it has to go back through the full FACA.
23 But the process so we can get more work done in
24 between the meetings, and not just as we come to the
25 meeting, I think will help us tremendously in

1 clarifying and getting the initial sort of discussion
2 much closer to a consensus document.

3 So if you notice under -- the flowchart there
4 is in Tab M, and so we've stood up that -- the basic
5 things, I guess, if we just kind of move left to
6 right, basically, obviously, there's three sources:
7 NOAA can task us with things, the members can bring
8 things up themselves, and then the public, and it
9 comes to the full committee, and then we'll review
10 that, and as appropriate, get it to the working
11 groups, and then it will come back to the panel, and
12 then the decision will go through, once we have
13 recommendations through our designated federal
14 official, Captain Parsons, up to the NOAA
15 administrator in the feedback.

16 In addition to the work groups, Barbara's
17 revised our Website, and I can pass out, pass
18 around -- this is just a screen capture, so this is
19 not a complete look, but I know that she sent it out.
20 I don't know if you may have seen this already, but if
21 you haven't, take a look, because we've got a spot for
22 recommendations on there, and we'll track our tasking
23 and our recommendations and the status and then the
24 feedback group, as well, the NOAA action and
25 response. So that will be another way for us to keep

1 track of that, and that will also help us populate or
2 feed into the required annual FACA database reporting
3 that is required by GSA.

4 So that is just a snapshot of how we're going
5 to track these, as well. So at each meeting, on the
6 second day we'll get together and have, you know,
7 fairly clear tasking for the work groups on issues
8 that we're working on going into the next meeting.
9 We'll be able to have an opportunity to get feedback
10 from NOAA on our previous recommendations. So I think
11 that the process here is coming into focus with the
12 work groups, the updated Website, and the feedback
13 loop and all of that.

14 So is there any questions on that or comments
15 on the proposed process here?

16 MS. BROHL: Is this something that needs a
17 vote or discussion? I mean, it's pretty
18 straightforward.

19 CHAIRMAN RAINEY: Yeah, I don't know that
20 it does. I guess I'd be interested in the panel's
21 comments on that. But like I said, we've had some
22 meetings with some discussions, and I think basically
23 with the way FACA's set up and required us to do that,
24 this is kind of where we are with the process.

25 MS. BROHL: Helen Brohl. I think this is

1 great. It's very straightforward. It directly
2 reflects the last meeting notes where we needed to be
3 very clear about what was said, where it's going, and
4 what the status is. So I compliment you guys on
5 the follow-up. And the fact that you made the
6 recommendation at the last meeting, Scott, to have
7 something like this, and it's reflected in the new
8 Website. So I want to compliment Barbara Hess for her
9 work to put it in place so we can, at any time, go on
10 and see what the status is.

11 There's a few things in the minutes from last
12 time that still need some follow-up. It's just that
13 we have a big agenda already. If we could consider
14 for next time that the agenda more clearly reflect old
15 business, finish the old business, the follow-up from
16 the previous minutes, before we begin new business or
17 new tasks, in any form you think is appropriate.
18 Thank you.

19 CHAIRMAN RAINEY: Okay, sure.

20 Thanks, Helen.

21 If you could with me, turn to Tab G for a
22 second. And I just wanted to go through or -- I'd
23 like to just call your attention to the decision
24 memorandum. This was forwarded up through Dr. Spinrad
25 to Admiral Lautenbacher, and this the memorandum where

1 we got approval last week on the work groups.

2 The thing that I was most interested in
3 talking to you about -- again, just to talk a little
4 bit about the work groups -- Work Group 1 is going to
5 be, as it was approved, is on observations, modeling
6 and emerging technologies. So the emerging
7 technologies has been added to that work group.
8 Again, Admiral DeBow talked about looking at AUVs and
9 other emerging technologies. We've talked about that
10 a little bit in previous working groups.

11 On the second page -- Tom Skinner has
12 volunteered to chair that for us. This work group
13 will report to the Hydrographic Services Review Panel
14 Federal Advisory Committee on issues related to
15 hydrographic modeling and observation systems and
16 emerging technologies, and it talks about the
17 Integrated Ocean Observing System, National Water
18 Level Observing Network, PORTS, spacial reference,
19 light detection, et cetera.

20 The second one was approved as recommended,
21 the Roles and Missions. Bill Gray's volunteered to
22 chair that for us, and we'll be taking a look at
23 NOAA's core capabilities and capacities across line
24 offices required to develop, maintain and deliver
25 hydrographic products and services and looking at

1 the roles of federal and private industry.

2 CAPTAIN PARSONS: Again, the intention,
3 based on the discussions during November's committee
4 meeting, was that these would be fairly encompassing
5 work groups. That's not to say that should topics
6 come up that this committee will deliberate on, that
7 additional work groups should not be considered for
8 being stood up. But we believe, and I think you'll
9 agree, at the last meeting that just about all the
10 topics that would come under the consideration of this
11 panel would likely fall under these two broad work
12 groups.

13 Again, the administrator approved the work
14 groups, approved the chairs of the work groups. The
15 participation in the work groups by individual panel
16 members will be determined by, on a volunteer basis,
17 if there are issues that particular panel members have
18 an interest and an expertise in, by all means those
19 panels members can engage in the deliberations of the
20 work group.

21 I might point out again, and there has
22 been some misunderstanding in the past, that the
23 deliberations of the work group and the communications
24 between the work group, since they are a work group
25 product, do not get entered into the public record

1 until they are discussed at the full panel meeting.
2 So we envision that most of the deliberations between
3 work group members will likely take place by email, by
4 teleconference or by phone conference.

5 And we have made available the NOAA phone
6 conference system. Phone conferences can be set up.
7 The chairman will have access to those and can
8 establish phone conferences for committee members to
9 discuss work group issues. And then again when the
10 work group reports out to the full panel, the
11 recommendations of that work group will become public
12 record.

13 Again, let me again remind everybody that all
14 discussions at these open meetings are a matter of
15 public record, and so speak accordingly, I guess is
16 what I'm trying to say.

17 You have in your material a waiver for
18 compensation for work group activities that do not
19 involve travel. Again, this is a Federal Advisory
20 Committee that is made up of individuals that are
21 termed "Special Government Employees." As SGE's, you
22 certainly are entitled to full compensation during the
23 full panel meetings. There has been an internal NOAA
24 decision that for your work associated with work
25 groups, and again, we don't envision very often the

1 work groups having to meet face-to-face, but for
2 activities involving the work group that does not
3 involve travel and meeting, NOAA does not intend to
4 compensate the individuals.

5 So there is a requirement that you waive
6 compensation for work group activities. And I'd ask
7 that before the end of the day you sign and date those
8 waivers that are in front of you. And that does not
9 impact, obviously, your compensation for full
10 committee meetings. That's inside the binder on the
11 left side, I'm told.

12 Again, this flow diagram was put together to
13 assist members in ensuring that we follow a regimented
14 procedure for moving information through the panel.
15 It's straightforward. There's nothing difficult about
16 it. And again let me reiterate what Scott said about
17 the source of issues. It is not the work groups that
18 determine what issues they will tackle. It is the
19 panel that will task the work groups with particular
20 issues. So again, the source being either directly
21 from NOAA, directly from panel members, or based on
22 input from the public.

23 CHAIRMAN RAINEY: Dr. Lapine?

24 DR. LAPINE: I think this is an excellent
25 plan. I really like it. The one thing I'm just

1 wondering about is once it gets to the NOAA
2 administrator, let's say he approves or acts on that
3 recommendation, there's no place in here that says --
4 you know, where we've got our file system of things
5 that have been approved or haven't been approved.
6 I'm just wondering how we're going to track.

7 CHAIRMAN RAINEY: Well, one of the ways, I
8 envision that as we come to each meeting, you know,
9 if not, maybe before through email, but I think as
10 someone's pointed out in certainly our "old business"
11 section of our future meetings that we may be able to
12 get a report from Captain Parsons or, you know, a lead
13 on sort of the status.

14 But in that Web page, and like I say, that's
15 just a screen capture, so you don't see the whole
16 thing, but we will have a status and we'll track it
17 right there, because we actually have to keep store in
18 the GSA database, so this will allow us to kind of
19 stay on top of it.

20 DR. LAPINE: That's what I was talking about.

21 CAPTAIN PARSONS: Yes, if I could make one
22 other comment. Again, while the purpose of this panel
23 was to advise the administrator, I think it's common
24 sense that not all of the recommendations and comments
25 that come from this panel will necessarily go straight

1 to the administrator's desk, such as comments last
2 time on certain federal register announcements and on
3 IOOS implementation plan. Those went directly to the
4 programs affected within NOAA.

5 You'll see in this lower right-hand corner,
6 while the advice that goes to the administrator goes
7 directly to him, the decision-making authority on how
8 best to implement, if at all, recommendations from the
9 panel go through the -- the name escapes me right
10 now. Do you have a copy of that?

11 I'm sorry, yes, the FACA decision-maker that
12 has been identified as Rick Spinrad, A.A. for NOS. So
13 again, to avoid any confusion, the recommendations of
14 this panel don't go through Dr. Spinrad, but the
15 decision-making process on how best to implement
16 recommendations of this panel will go and involve Rick
17 Spinrad as well as the program directors that those
18 recommendations involve.

19 CHAIRMAN RAINEY: Okay. Thanks, Roger.

20 Mr. Gray?

21 MR. GRAY: I am Bill Gray.

22 Scott, I've got a number of questions, and
23 I don't know whether this -- where you are in the
24 agenda about the procedures we're being asked to
25 follow; in other words, what timetable, how are we

1 going to do our work, and so forth. I mean, I
2 understand the diagram there and so forth, but I guess
3 the -- and this other document that was handed out,
4 which is a copy, I guess, of what the Web page looks
5 like, I don't understand that at all. And so I'm just
6 curious, are we going to discuss those things now?

7 CHAIRMAN RAINEY: Absolutely. We've got some
8 time. We're going to be well ahead and have time for
9 public comments.

10 I think -- I'll take a shot at it, and then
11 we can pass it around and have further talk. But it
12 will be somewhat situational, I think, depending on
13 the scope of the tasking. I think that one of the
14 procedures we're going to implement, we talked a
15 little bit about, is that tonight we're going to meet,
16 hopefully, with the working chairs, Helen, myself and
17 Captain Parsons and Barbara, to pull together the
18 results from today, and in each meeting, the second
19 day we will have a session to sort of lay out, you
20 know, the more specific tasking with time frames or
21 objectives for the work groups for the previous
22 meetings so that, you know, hopefully we'll leave with
23 a much better idea than maybe we have in previous
24 meetings of the work at hand and with an initial
25 course to steer after the meeting.

1 As far as how we're going to work, I think
2 Roger covered it pretty well just a second ago, but
3 again it's envisioned that much of the work can be
4 done over the Internet or, when we have to, through
5 conference calls and things like that. And again,
6 it's obviously, you know, pre-decisional, but the
7 objective is to get more clear tasking, get it down to
8 a manageable size of, you know, breaking some of these
9 policy concepts down to actual advice and get that a
10 good start through the work groups, and then we can
11 come back to the full committee, which is where we
12 have to have it publicly debated, and make our final
13 decisions.

14 One of the questions that's come up, and I
15 want to, I think, make clear to everybody, since the
16 Norfolk meeting, again, when we were contemplating
17 this, we talked about, you know, who wants to be on
18 what work group. That, as far as I'm concerned,
19 anybody can work on either one. We had some people
20 that, since then, either had to leave early and didn't
21 get picked up on a particular one or the other.
22 Nobody, I think, is locked in to one slot. A couple
23 people, I think, wanted to be on both.

24 So as far as I'm concerned, at least as
25 chair, unless there's some, you know, FACA impediment

1 to doing that, we can work on issues, and we want to
2 just put the people where they have the expertise and
3 interest on, so that the membership on that is
4 certainly flexible.

5 Does that help answer it?

6 MR. GRAY: Sort of. I guess what's under
7 Tab G and under Tab M, those are the two relevant
8 things describing the authorization we have and the
9 process we follow, but with nothing on the timetable.

10 This sheet I don't understand at all.
11 What's that got to do with work groups? When's an
12 item number? What's a --

13 CHAIRMAN RAINEY: Yeah, under Tab G was
14 the decision memorandum, so that's the official
15 authorization required by FACA for us to stand
16 these up. Under Tab M was sort of our best visual to
17 try to capture how the information's going to flow.

18 The last thing you're referring to is simply
19 a printout. It's a screen capture of one of the
20 pages, and it's just the very first top part of a
21 section that we put up on the Website for
22 recommendations. And what that is, it's a tabular
23 representation of action taken by the FACA on certain
24 tasking, what our recommendation was, a status.
25 You know, it's basically diagraming out our

1 recommendation, it was passed to NOAA, and what the
2 status is; whether it's pending, whether it was
3 acted upon, accepted, et cetera. And that will be
4 very helpful for us to kind of track our work product.
5 And it will also be open there to the public, and
6 we'll also be able to feed the annual GSA database
7 report, which asks for exactly that type of
8 information: How many recommendations did we do in
9 the reporting period; what did the agency do with it,
10 that sort of thing. So that's a tool for us and the
11 public and NOAA to sort of track our work product.

12 MR. GRAY: Well, I guess I still don't
13 understand. What does 1-L4 mean?

14 CHAIRMAN RAINEY: That's simply a numbering
15 system, just to try to track a particular thing. It
16 doesn't have any meaning other than it's a way to
17 number it.

18 MR. GRAY: But, I mean, this piece of paper,
19 frankly, means nothing to me. I can't understand it.

20 CHAIRMAN RAINEY: Okay. Maybe off line we
21 can talk about it a bit. And certainly this is -- you
22 know, we've got it up as a test site. It's an idea.
23 I think it will be a useful tool for the reporting
24 thing, and we can discuss that, and we can probably
25 modify it if there's an easier way to, you know,

1 understand that data. But having some ability to
2 track specific recommendations and then the feedback
3 we get from NOAA will help us with the FACA
4 requirements on the reporting and such.

5 CAPTAIN PARSONS: We can talk off the --

6 MR. GRAY: Sorry, I'm a little stupid about
7 these things. It's too complex for me.

8 CAPTAIN PARSONS: One more point on process
9 and then we can move on.

10 The taskings to the work group will come
11 following a discussion in the panel. For instance,
12 today we have two primary topics that will be briefed
13 out to the panel that NOAA is interested in seeking
14 advice and recommendations on.

15 The first is the hydrographic surveys cost
16 analysis. That will be briefed before the panel,
17 followed by discussion. We fully anticipate that
18 there will not be sufficient time nor information
19 for the panel to come up with recommendations at
20 this meeting; therefore, based on this morning's
21 discussions, a tasking document, if you will, will be
22 put together this evening to go before the work groups
23 tomorrow that will lay out what you are being asked to
24 do and time lines anticipated with those taskings.

25 The second item on the agenda is mapping and

1 charting, contracting strategies, and policy. We are
2 looking for advice on the current contracting strategy
3 that NOAA uses and opportunities for expanding
4 opportunities with the private sector. Again, that
5 will be briefed before the panel and prospective
6 taskings will be laid out, and then this evening the
7 chairs of the group and the chair and vice-chair of
8 the panel will get together and succinctly describe
9 exactly, based on discussions, what the working group
10 will be asked to do, with appropriate time lines on
11 that. It will then be turned over to the working
12 group chairs.

13 CHAIRMAN RAINEY: Okay. Is there any further
14 process-type questions for now?

15 Okay. That is pretty much what I had put
16 together for that section. I'd like to just pass out
17 right now, just since we have -- we are well ahead of
18 schedule. This isn't something for discussion now,
19 but this is a letter -- you'll see it, it comes up
20 tomorrow on the agenda -- a proposed letter to the
21 admiral with some comments, initial comments on the
22 ocean action plan resulting from briefings we had
23 again from Admiral West on the ocean commission report
24 and some of the our discussions in previous meetings.

25 Tom Skinner took the initial draft -- or

1 drafted the initial work. It was put around on the
2 email. A few members commented on that. What this
3 document represents is I pulled those comments in,
4 tried to put them into Tom's draft, and so we're
5 passing that out now as the document.

6 There is one -- I'd like you to use the one
7 I'm passing out now for our discussion tomorrow, with
8 the hope that we can approve that and get that up to
9 admiral Lautenbacher here in fairly short order. Use
10 this one, please, rather than the one that's in your
11 binders, because this one I'm passing out now has
12 incorporated comments that came in the interim over
13 the Internet from folks. So we'll use that as our
14 base of discussion tomorrow. And that comes up
15 tomorrow morning, so maybe, if you can, sometime today
16 or this evening take a look at that and be ready to
17 discuss that tomorrow.

18 MS. BROHL: Captain, I don't know where this
19 is appropriate, to give a report on the federal
20 register notice on new applications?

21 CAPTAIN PARSONS: I can certainly bring you
22 up to speed on that. I think everybody realizes that
23 one-third of this committee has two-year appointments
24 that expire for four at the end of the year and one
25 in early spring.

1 A federal register announcement went out in
2 the fall. We received approximately 20 nominations
3 for new membership, including all five of the members
4 whose terms expire at the end of the year.

5 The review committee has not yet met. It
6 will meet over the course of the next month. What
7 that committee will do is review the applications,
8 the nominations; make recommendations to the NOAA
9 administrator for appointment of new members or the
10 reappointment of incumbent members. Those will be
11 announced later on in the summer. And if there are
12 members here whose two-year appointments will expire
13 who are not renominated, then their terms will end
14 roughly December. So beyond that, I can't tell you
15 anything more.

16 The panel has not met. It will consist of
17 members of the Office of Coast Survey, the National
18 Geodetic Survey, the Center for Operational
19 Oceanographic Products and Services, and the Joint
20 Hydrographic Center to review the qualifications of
21 the candidates. Again, all subsequent nominations
22 and appointments are for four-year terms.

23 MS. BROHL: How many applications did you
24 receive?

25 CAPTAIN PARSONS: We received 19 or 20. I

1 don't recall, specifically.

2 MS. BROHL: Thank you.

3 CHAIRMAN RAINEY: We're doing amazingly well
4 here, ahead of the schedule, on getting the process
5 stuff behind us, and I just -- we're talking about
6 we're not in a situation where we can move up any of
7 our discussions, really, because our speakers are tied
8 up with some of the hydro things.

9 We were just talking about maybe opening up
10 the floor. A number of folks had sent in some ideas.
11 Maybe we could open the floor and go around. If folks
12 have been in some meetings or have some other issues
13 that they've been working that are relevant to the
14 hydro thing, we might make a round turn on that and
15 have some discussions that you were working on on
16 that, and then we'll go ahead and open it up for
17 public comment.

18 Let the public folks introduce themselves,
19 and if anyone has any comments they wanted to make for
20 us before our break, I think we have time here. It
21 might be worthwhile if people have had some meetings
22 that are relevant or are working on some things or
23 have some comments they wanted to make, go ahead and
24 open it up to the members.

25 Mr. Gray?

1 MR. GRAY: Again, Scott, I saw 10:00 o'clock
2 for this work group process. Do you think we've been
3 through that? I thought we were going to talk about
4 what -- I put other things up for my work group about
5 a month ago. We've got a few comments back and so
6 forth. Are we going to talk about that now or not
7 talk about it at all?

8 CHAIRMAN RAINEY: Sure, we can go ahead and
9 discuss that further.

10 MR. GRAY: I thought that's what this was
11 about. Because I think my memo is in the package
12 here, and as I say, we got comments from several
13 people on this. And I'm just curious whether others
14 have got comments on this. Do they like the approach?
15 Do they not like the approach? What are we going to
16 do with it?

17 I had suggested that while we were here in
18 San Diego that it might have been convenient if we
19 could have met yesterday. That was not -- I guess
20 because the work groups weren't officially approved,
21 we couldn't do that, but -- do you want me to just
22 give a thumbnail of what this is and see whether
23 people want to respond to it? I know several people
24 did come back with comments on this, but not very
25 many.

1 CAPTAIN PARSONS: Yeah, I think the Chair has
2 suggested -- because over the course of the last
3 several months the chair has received a number of
4 emails from members suggesting potential topics for
5 work group discussion, and again let me clarify, it is
6 not up to the work groups to decide what they are
7 working on. It is up to the panel.

8 So I think what Scott just suggested was that
9 if we take a turn around the room, and perhaps start
10 with you, Bill, to talk briefly, not too much in
11 detail, about the topics that this panel would like to
12 consider for deliberations over the course of -- and
13 again, these aren't things that will be discussed over
14 a year or two meetings. There's just too many topics
15 that have been offered. But I think if this committee
16 will tackle two to three issues at a time in their
17 work groups and then come back to subsequent meetings,
18 the work of this panel can best be achieved.

19 MR. GRAY: Okay. Well, I think the memo
20 that I put out was actually trying to take one of the
21 charges that was in the material given to us and
22 suggest how it can be -- how we put something
23 forward on this that makes sense. And I said on the
24 first page here from the list of nine strategic and
25 problematic issues identify Chairman Rainey, "One

1 can regroup the evaluation of hydrographic service
2 products into two categories: What products can NOAA
3 provide at what cost and timetable, and what
4 information do the users want for safe, efficient, and
5 environmentally sound transportation."

6 And I suggested that first the work group and
7 then the panel itself take a look at those two
8 things: What are the products -- and somebody, I
9 can't remember who it was, suggested a slightly
10 different definition of products -- what are the
11 services that NOAA can provide, make a list of those
12 and put them in priority. And make a list of the
13 wants of users, and I said, "for safe, efficient, and
14 environmentally sound transportation," and this should
15 also include the recreational users and so forth, and
16 then compare and see whether the things that NOAA can
17 do and is doing resemble what the users of that
18 information would most like them to be doing.

19 And I then put some examples that -- I felt
20 these lists might come up with slightly different
21 answers, and I put in as an example, I remember, that
22 it struck me, in looking at some of the material that
23 we had to review, that NOAA has established that they
24 will try to have all electronic navigation charts for
25 all the three and a half square million miles

1 available in a period of about three years or
2 something like that, whereas of the 43 or 44,000
3 square miles of navigationally-critical area still to
4 be surveyed, as it was when those were defined five,
5 six, seven years ago. Up to this point, less than
6 half of that's been done. It's going to be a 20-year
7 process to do that.

8 And from one community of users, commercial
9 shipping, like I said, I think we've got it absolutely
10 backwards. That what should be done is for priority
11 to be given to producing the information that's most
12 important to the users, rather than what's easiest for
13 NOAA or what NOAA has chosen to do to convert from
14 paper to electronic navigational charts in three or
15 four years.

16 That's not nearly as interesting, I think,
17 to users as having accurate information for critical
18 navigational areas. And I cited the case of the
19 Athos 1 in the Delaware River in which in
20 federally-maintained waters an oil spill, which has
21 now cost over \$100 million occurred because the
22 information about the available water was wrong.
23 That's a failure of the system, and it's an important
24 failure of the system that isn't necessarily NOAA's
25 fault, but sure is the Government's fault. That's why

1 I felt trying to make two lists: One, what are the
2 services that NOAA is capable of providing; and two,
3 what are the services that users feel are most
4 important for a safe and efficient commerce should be
5 made, those two lists, and then compared to see
6 whether or not what NOAA is doing really complies with
7 or conforms to what users of the information feel is
8 most important.

9 I feel that's a rational way to evaluate the
10 value of what NOAA's doing and also to figure out what
11 its planning for the future ought to be. And that's
12 what I hoped that this Work Group No. 2 would have
13 some time to deliberate on the approach I suggested,
14 that maybe a timetable should be suggested of how or
15 when that should be done. And that's why I asked the
16 question about "How is this work group to function?"
17 Well, I threw something out there, I got a couple of
18 nice comments back, and that's the end of the story as
19 of this moment. I'd like to move forward with this
20 and I don't quite know how to do so.

21 CHAIRMAN RAINEY: Okay. Thanks, Bill. I
22 think the way we can do that is there's going to be
23 some presentations this afternoon from NOAA on some
24 issues that they'd like to put to the panel, which
25 will probably end up in your work group. And I think

1 that tonight the idea is to get together with that and
2 with your comments on the user list and things, and
3 then work out tonight to have a presentation for folks
4 in our discussion tomorrow on, you know, where we
5 can -- if we can get this down into sort of a
6 manageable tasking, and then that's where I think we
7 can come up with more of a defined work plan and the
8 timing, and then we can get that -- move that
9 forward.

10 But what I've found out since -- again, I'm
11 kind of learning as this goes, too. But since the
12 Norfolk meeting -- again, I'm sort of apologetic about
13 how much process this is -- but the work group, it
14 took quite a bit of thought, I guess, and study on how
15 to set this up, but apparently we're going to have
16 pretty good coordination on the actual tasking and get
17 that work plan sort of vetted both from the panel and
18 from the NOAA side. So idea will be that we can make
19 that happen after our first days, and incorporate
20 suggestions from the panel members and NOAA, and then
21 work that out so that tomorrow we can have that pretty
22 well sorted out.

23 But I think that your idea of the user
24 requirements and how we go about that, we can maybe
25 talk about that and see if we can get that

1 incorporated in the thing.

2 We had a little bit of discussion in the
3 interim about the original response back from
4 Dr. Spinrad with some -- I had sent him an initial
5 letter saying that we were stood up and knowing he was
6 an agency decision-maker and things, and asking him
7 you know, for some areas that we might look into, and
8 that is what Bill is referring to to that list. Those
9 were from some ideas that he sent back to us that NOAA
10 would particularly welcome this committee's advice and
11 recommendations on.

12 And so we have that. We have, you know,
13 Bill's work here, and I think we can pull all those
14 together, add the NOAA presentation and tasking from
15 those, and then tomorrow we can move forward with a
16 plan, I think.

17 MS. BROHL: Helen Brohl. In that same vein,
18 to come up with some tasks for working groups and then
19 organize it tonight and have it presented tomorrow.
20 In that original May 19th letter from Dr. Spinrad to
21 Scott Rainey, he did have the one -- it's under Tab B,
22 there were one, two, three, four, five or so thoughts
23 on issues for the panel. One of the those, in
24 particular, I'd like to put on the table now, and it
25 will be presented more formally tomorrow, and that is

1 the task for Working Group 1 would be "What role and
2 interaction should NOAA's navigational services play
3 in the integrated ocean observing system?"

4 Now, that encompasses some of the discussions
5 we had at the last meeting, so I think it's a topic
6 that cover -- it overlaps a number of issues areas.
7 It covers some of those observing systems we've talked
8 about in the past and have an interest in. So we're
9 not going to have a big discussion now, unless there's
10 contributions to that task line that then could be
11 incorporated tonight into a coherent statement for
12 everybody. But I would like to put on the table that
13 second one, which is what role and interaction
14 should NOAA's navigational services play in the
15 IOOS to be a task that the panel submits to Working
16 Group 1.

17 CHAIRMAN RAINEY: Okay. Further comments?
18 Tom?

19 MR. SKINNER: Tom Skinner. I think that's
20 right in line with what I had sent around to the
21 working group when we -- actually, I think there's a
22 little confusion that we thought we had three tasks,
23 and so now we have to get them assigned. This is
24 exactly the same language that we had sent around, so
25 it's exactly consistent with that.

1 CHAIRMAN RAINEY: I guess one editorial
2 comment. I think that we're exactly on track. It's
3 just that, in some ways, after the Norfolk meeting
4 we stood those up and we've been moving, I think,
5 in a beneficial direction. It's just that we've now
6 got our approval, so now we're basically ratifying
7 our efforts up to here. And I think by tomorrow
8 everything should sink up and then we can move ahead,
9 you know, with our official approval of our work plan
10 under the work group regime here.

11 So I think by tomorrow -- what we had done,
12 we were told to go ahead, that the approval was
13 pending, and so we furthered the agenda based on some
14 of the input we had from NOAA previously, and now
15 we're all sort of catching up with all the FACA
16 approvals, and so now we should be able to move
17 ahead.

18 MS. BROHL: I have a question. It's not
19 related to creating tasks for working groups but just
20 a follow-up question from the minutes, Scott.

21 Last time you had commented about ENC
22 requirements under Coast Guard. It may have escaped
23 me. Has there been any rule-making or notice about
24 the electronic navigational charts requirements?

25 CAPTAIN PARSONS: No. Again the answer is

1 no. The Coast Guard is required by January of 2007 to
2 promulgate carriage requirements. Without speaking on
3 behalf of the Coast Guard, I presume that at least a
4 year in advance, by January 2006, they will publish an
5 initial ruling or initial rule that will layout their
6 perception of what the carriage requirements for
7 electronic navigation charts will be.

8 Again, the requirement doesn't say electronic
9 navigational charts, no ENC, it just talks about
10 electronic charts. So that process is still a ways
11 off.

12 MS. BROHL: I just want to make an
13 observation which I think is kind of cool, and that is
14 that I attended a hearing about the Marine Maritime
15 Transportation Security Act implementation, I believe
16 it was in November. And what was interesting about it
17 is that the people that were speaking was Admiral Sam
18 DeBow was there for NOAA, and MTSA pulled NOAA in to
19 talk about their part in it -- I thought that was
20 great -- of course there was Coast Guard, and I think
21 it was the Corp of Engineers. But for the first time
22 you're starting to see from the Congressional side the
23 staffers recognizing the NOAA role, and I thought that
24 was an interesting observation.

25 DR. LAPINE: Lew Lapine. I don't know, maybe

1 my mind is working too simply today or something, but
2 on these working groups, I'm afraid that we're going
3 to get tasked with 10 or 12 disperse actions.

4 And to Bill, you know, I commented on your --
5 I think it's a great idea. I think we should work on
6 it. But I also treated it from the point of view
7 that, well, we weren't really officially designated at
8 that moment, so I didn't give it as much effort as I
9 could have because I didn't know how the tasking was
10 going to work.

11 But I think I'd be more comfortable, at least
12 to start, if we had one or two very well-defined tasks
13 to start with, and as we get more involved in the
14 working groups and how we're going to communicate --
15 telephone, email, whatever -- then, you know, we'd be
16 allowed to, say, take our own wing and maybe develop a
17 couple other action items that the Board, you know,
18 feels is important or that we bring to the Board that
19 we think is important. Just a comment.

20 CHAIRMAN RAINEY: I agree.

21 CAPTAIN PARSONS: If I could comment again on
22 that. Those of you that took a look at the read-ahead
23 material of the two issue papers I sent out last week,
24 there will be two specific taskings to Work Group 2
25 based on discussions today. One will be the expanding

1 contract strategies and looking at NOAA's contracting
2 strategy, and the second being the hydrographic
3 surveys cost analysis. Those two issues will go to
4 Working Group No. 2.

5 And I know there's a lot folks want to bite
6 off on, but these two issues have surfaced within
7 NOAA's agenda, and we are seeking HSRP recommendations
8 on these specific items.

9 MR. GRAY: Bill Gray. And I'm sorry to hear
10 that. I read those coming out on the plane yesterday
11 afternoon, and to me, they have a lot of words with
12 almost now specifics to settle what I believe to be
13 far less important issues, the ones that were raised.
14 And when I put my paper together to defend it a little
15 bit, I tried to make it relevant to NOAA's own
16 priorities for the 21st Century, NOAA's strategic
17 vision, its mission and so forth.

18 Whereas, the read-ahead papers that you gave
19 us go from the basis that -- well, I guess you've got
20 a law that you've got to follow that says "Put as much
21 of this stuff in the commercial hands as you can," and
22 so forth, and study what's the efficient way to do
23 that and everything else like that. To me, those are
24 details that the management of NOAA ought to remedy,
25 and I think a group like this, Hydrographic Services

1 Review Panel, ought to go back to say, "Are we doing
2 the right things? Is NOAA doing the right things or
3 is NOAA not doing the right things?" And that's why
4 I picked something specifically out of 21st Century
5 vision, its mission and so forth and said, "I think
6 this is important." As I say, I read those things on
7 the plan last night and I thought -- well, it leaves
8 me cold.

9 MR. SZABADOS: Bill, I'd just like to add one
10 thing. As one of the directors that provide those
11 services, I would find it very useful for users to
12 clarify, identify those requirements, and put a
13 priority on those requirements, and assess how we're
14 doing on those products to you. I would find that
15 helpful.

16 MR. DASLER: Jon Dasler. I'd just like to
17 comment a little bit on that in that I think one of
18 the issues that would be raised in the questions that
19 were put forth to the working groups is the resources
20 that are currently available. I mean, there's a big
21 backlog of charting, and how are we going to best -- I
22 mean, part of that problem that you stated, Bill, I
23 think is related to the charting backlog and that
24 problem and the resources that need to be put forth to
25 correct that in a timely manner.

1 MR. GRAY: Well, I had the hope, when I put
2 my name forward to go on this panel, that we could
3 bring things up that go a little outside of what
4 you've already been told to do and say what do we
5 think we should be able to do.

6 And as I said, Roger, when you were at CMA
7 last week, that I have no qualms with the ability that
8 NOAA has and its people have to do an absolutely
9 bang-up job in providing hydrographic and navigational
10 useful information to the world of marine commerce and
11 the recreational people, but they have such a short
12 fall of funding that they're unable to do the job that
13 needs to be done. And I think correcting that problem
14 is something that this group should deal with as its
15 highest priority, rather than worrying about how much
16 is going to be done by NOAA, and how much is going to
17 be done by commercial contractors, and how do we
18 replace a fleet of ships that's 28 years old, which in
19 the commercial world they would have been thrown away
20 by now.

21 Those things are really dealing with the fact
22 that there are big shortfalls in getting information
23 to people that is badly needed, and the Athos 1 is
24 a damn good example of that. The cost is over
25 \$100 million so far and it's growing. And that never

1 should have happened. It was not NOAA's fault, but it
2 was the U.S. Government's fault, that's for sure.
3 And if we can't deal with those things, I'm not too
4 interested in spending a lot of time debating on
5 whether or not NOAA should operate the ships or
6 private contractors should operate the ships.

7 I know you people have got to deal with these
8 things, but for me, as one connected more or less with
9 what I believe a lot of the users feel is important
10 for safe navigation in U.S. waters, we've got to deal
11 with bigger issues than that.

12 MS. BROHL: If you look at the chart,
13 deliberation chart that was done, it seems pretty
14 clear that there are three different sources that can
15 contribute to what the panel decides, and one of them
16 is NOAA. And NOAA has put forth a couple of ideas
17 they'd like us to look at. The panel members have a
18 couple of ideas that we'd like to put on the table.
19 Maybe the public will have a couple of ideas they can
20 put on the table. And I recommend that they all be
21 considered; that we just don't assume that -- it's not
22 really fair to say, "Well, the working groups have
23 been tasked to do these."

24 If I'm correct, the panel has to decide
25 how we're going to be tasked based upon the

1 recommendations, and that hasn't been decided yet.
2 We're going to have some background information on
3 two of the tasks that NOAA's recommending, and that
4 tomorrow we have Bill's recommendation is put into
5 some kind of concise wording, perhaps the one that I
6 had recommended, anybody else recommends, anything the
7 public does, and then tomorrow we take a look at them.

8 And maybe, as Dr. Lapine says, "Geez, it may
9 be all too much," but we will have a good visual idea
10 then of everything on the table for us, and tomorrow
11 then we take a look at them and prioritize for us.
12 And it may be that some of the tasks that NOAA's
13 requesting we do have so much internal information
14 already attached to them that they're not as huge for
15 us as, perhaps, Bill's, and that maybe in the end NOAA
16 will have a lot of say in automatic -- I mean, they
17 deal with this every day, so probably we'd rely on
18 them to just, you know, "Give us an outline and we'll
19 look at it." We don't have to start from the roots
20 and we can combine some of those.

21 But I really hate to just, even up front
22 here, before we've looked at all the options, decide
23 that the tasks are already decided for us. So if
24 we're going to follow this advice, this graph, if
25 there are three sources, that we take a look at all

1 in oceans, and at that hearing NOAA reported on its
2 navigation services. In addition, the management
3 association for private photogrammetric surveyors
4 essentially testified that the capability to conduct
5 hydrographic surveying existed in the private sector
6 and that NOAA should be given more funds to execute
7 these Brooks Act A & E contracts.

8 Another part of the private sector, the ship
9 building and leasing industry, also testified or
10 advocated NOAA's use of leased vessels rather than
11 capitalizing for new NOAA ships.

12 So historically, NOAA had conducted its
13 hydrographic surveying using primarily in-house
14 platforms, and though the number of platforms have
15 reduced, we still had this huge data acquisition
16 requirement that we had to satisfy. We had begun to
17 operate these turnkey contracts since '98, which
18 effectively increased our capacity to acquire data,
19 heading us back a little bit into a positive
20 direction, as opposed to the negative direction we
21 were headed in with the decommissioning of some of the
22 ships. But also because of the authorization and the
23 suggestion that we should look at leasing vessels, we
24 wanted to explore the use of leased vessels, the
25 potential cost effectiveness of that, and the

1 problematic effectiveness of that strategy.

2 So we determined that we would go about this
3 initial cost analysis, basically to get a data point
4 on where we were with comparing data acquisition using
5 both the in-house vessels that we had at that time and
6 experiences that we had had so far with contracting of
7 hydrographic survey services. And we also wanted to
8 get a little bit of information on what it might cost
9 us to undertake surveying using a leased vessel
10 approach. We had never done that, so we included that
11 as part of the cost analyses.

12 We initially undertook this cost analysis
13 in-house and we gathered -- we used O and B guidelines
14 and worked with all the components of NOAA that
15 basically impact the full cost of hydrographic
16 surveying, and we came up with what we thought was a
17 pretty good shot at a cost analyses, but we felt that
18 once we had done that, that we would shine a little
19 bit more credibility on it by using a private
20 accounting firm or a consultant that had expertise in
21 this to ensure that all of the cost factors were
22 included and that we were in compliance with JO and
23 O and B guidelines.

24 The contract for that cost analysis was won
25 by KPMG Contracting. They conducted the analysis and

1 completed it I believe in about three or four months,
2 in September 2001, and then we had asked for a little
3 bit of additional information, which took them another
4 month, and the whole thing was completed in October.

5 So the results of the analysis are estimates
6 of the cost per square nautical mile of conducting
7 hydrographic surveys in Alaska and the Gulf of Mexico
8 under three scenarios. And the reason they chose
9 Alaska and the Gulf of Mexico is because those two
10 areas combined make up about 80 percent of our
11 navigationally significant backlog areas.

12 So they were to analyze the cost per square
13 nautical mile utilizing the NOAA vessels and staff,
14 the full turnkey contracts, and also to gather
15 information on chartering a vessel to go at this
16 same requirement with limited number of NOAA personnel
17 on board.

18 The Alaska surveys are divided into shallow
19 and deep water regions, and the reason they did that
20 is because of the geometry of operating these sonar
21 systems, you're a lot more cost-effective in deep
22 water than you are in shallow water, regardless of
23 whether it's an in-house or contracted effort.

24 So we broke it down into Alaska shallow,
25 Alaska deep, and then the Gulf of Mexico. And we

1 compared in-house projects to the contractor projects,
2 and then we got information from industry through an
3 RFI, request for information, for what it would cost
4 to charter a vessel for that same type of work.

5 And what we did was we actually were very careful to
6 select projects that were very similar in nature in
7 terms of geographic region, type of hydrographic
8 operations that would be required and that sort of
9 thing, to make sure that the comparisons were fair.

10 You can see, as you look at the first slide
11 on the cost, that the cost per square nautical mile
12 were the most expensive in Alaska, and that has
13 something to do with the remoteness of it and the need
14 for vessels of a certain size and the operations in
15 that remote area, actually. And you can also see that
16 there was a significant difference in Alaska between
17 the cost for deep water surveys versus shallow, and
18 then the Gulf of Mexico was significantly less than
19 the Alaska area.

20 The asterisk beside the 18.9 figure for the
21 time charter was due to the fact that it did not --
22 the costs that were received for time charter did not
23 differentiate between deep and shallow water areas,
24 initially.

25 This next table shows the results of the

1 original analysis, along with additional results for
2 time charter surveys to go out and -- breaking that
3 out in shallow and deep water areas, and you can see
4 the differences in the findings. The time charter,
5 when split out deep versus shallow, the numbers are
6 quite a bit different from what we saw in the
7 preceding slide.

8 CAPTAIN PARSONS: Mike, if I could interrupt
9 you for a moment. Can you describe, briefly, time
10 charter?

11 MR. GIBSON: Yes, sir. You mean as it is
12 now?

13 CAPTAIN PARSONS: Yes.

14 MR. GIBSON: Okay. The time charter model
15 that we have right now, we're actually operating two
16 separate contracts. We have a contract for a vessel
17 and a separate contract for hydrographic services
18 aboard that vessel. And the reason that it's that
19 way is because the original paradigm called for one
20 contract for the vessel, a full vessel crew, and there
21 would be NOAA employees on board.

22 But the FTEs for NOAA employees to work on
23 board, as originally intended, did not materialize.
24 So when the need arose for contract hydrographic
25 service crew to come along with the vessel, an opinion

1 was rendered that because of the Hydrographic Services
2 Improvement Act statement that we shall use Brooks Act
3 A & E contracting for securing hydrographic survey
4 services, that the vessel contract wouldn't allow for
5 that. And so an opinion was rendered, and the
6 Military Sealift Command, which was executing our
7 contract for the vessel, requested that NOAA then
8 secure a separate contract for hydrographic surveys
9 services for equipment operators and hydrographers
10 aboard that vessel.

11 We also have right now -- we rotate a pool
12 of three to four NOAA lead hydrographers and project
13 managers and COTRs aboard that vessel to ensure --
14 to oversee the project on a day-to-day basis and to
15 ensure the acquisition of the quality of data that we
16 require, and then to be able to carry that processing
17 forward, back into our processing branches and take
18 that data through to the chart.

19 So the numbers that we got from this cost
20 analysis I guess raised a lot of eyebrows. And
21 certainly there was a lot of interest in this,
22 including interest across the Government and up on
23 the Hill about cost per square nautical mile wide,
24 and we would get repeated questions about, you know,
25 "What's the cost per square nautical mile? How do you

1 bring this cost per square nautical mile down? Why do
2 you have differences in cost per square nautical mile
3 for deep versus shallow, for Alaska versus the lower
4 48?," and that sort of thing. And the one thing that
5 we try to remind folks is that a square nautical mile
6 is not a square nautical mile, and that's why the
7 costs are so diverse, and that there's not one number
8 that we can assign as a benchmark cost per square
9 nautical mile that we can try to bring down over time.

10 But that was the idea, how do we become more
11 cost-effective over time, and how do we maximize
12 the use of the funding that is appropriated in the
13 accomplishment of our mission and to try to bring down
14 that backlog of 500,000 square nautical miles more
15 effectively.

16 MS. BROHL: Excuse me. Could I ask a
17 question?

18 MR. GIBSON: Absolutely.

19 MS. BROHL: Regarding O and B and the inquiry
20 to have NOAA respond to the efficiencies of that
21 acquisition, when did O and B pose this question, and
22 was it posed directly to the Office of Coast Survey
23 or to NOAA?

24 MR. GIBSON: The question was not posed in an
25 official manner, if you will. The question was posed

1 during O and B's conducting of something called a
2 "Program Assessment and Review Tool," if I have that
3 acronym spelled out right. We met with O and B, and
4 O and B was aware of these -- O and B had actually
5 reviewed the first KPMG cost analyses, and O and B
6 basically wants to know how, as a performance metric,
7 we're going to bring down the cost per square nautical
8 mile.

9 And so we got into quite a bit of dialogue
10 about what I just mentioned a minute ago, is that you
11 can't look at every square nautical mile as being the
12 same. They're not going to cost the same, no matter
13 what we do. However, you know, is there a way that we
14 can bring down the cost per square nautical mile, you
15 know, on average for areas of a similar nature.

16 So we were asked in a meeting, and the review
17 of our score on that part, as they call it, the
18 Performance Assessment Review Tool, and then in a
19 follow-up conversation with O and B -- when they
20 visited one of our field platforms, we were asked this
21 question again -- and they said that "We have been
22 looking at the cost per square nautical mile of some
23 of your contracts for data acquisition and we're
24 interested in knowing more about why they are so
25 disparate and how we're going to bring those costs

1 down."

2 So that was done back in 2001, as we have
3 said earlier. And we feel as time goes on, certainly
4 the more data you have, the better you're going to do
5 with statistically computing your cost per square
6 nautical mile to see how well you're doing with these
7 variety of approaches from data acquisition. So at
8 this point, that initial analysis is about four to
9 five years old.

10 And at the end of this fiscal year, we
11 will have conducted one solid year of time charter
12 operations, and that time charter operation is
13 significantly different from the numbers that we were
14 given in the initial request for information because
15 of the operating model. So we're interested in
16 knowing has anything changed since we did our initial
17 analysis of cost per square nautical mile from using
18 in-house platforms, from using turnkey contracts, and
19 looking at what we got for what we paid for this first
20 paradigm of a time charter operation.

21 And because the time charter operation is
22 different from what was originally conceptualized in
23 this follow-up cost analysis, we probably would like
24 to talk about some potential strategies of ways of
25 possibly modifying that paradigm for either cost

1 efficiently, operational effectiveness, and lowering
2 the risk associated with the many parts of a machine.

3 The other thing that has changed since then
4 is the NOAA ship Fairweather was reactivated this last
5 field season, so we'd like to get some analysis of the
6 inclusion of that asset. The Fairweather is a sister
7 ship, same class vessel as the NOAA ship Rainier;
8 however, the Fairweather carries four launches as
9 opposed to six launches. And the other thing is that
10 we have replaced the aging NOAA ship Whiting with a
11 excessed Navy platform. It was the USS Little Hails
12 that we've renamed, recommissioned it NOAA Thomas
13 Jefferson. So we have a few new data acquisition
14 platforms and strategies that we'd like to go about a
15 new cost analysis to try to determine where we are at
16 this point.

17 The last bullet on that slide, if you've
18 seen the FY '06 President's budget, it has shifted the
19 line item called "time charter" and included it in the
20 total sum for a line item called "address survey
21 backlog," which is essentially a line item that allows
22 NOAA to partner with the private sector to outsource
23 for its hydrographic surveying services. So with that
24 shift of those funds into that line, my understanding
25 is that that puts more of the decision-making and

1 discretion in the hands of NOAA in terms of how we
2 will go forward. So we really want to know the
3 effectiveness of these various methods to help us make
4 that decision.

5 So as far as the time charter goes, the
6 initial analysis, I believe -- or originally when we
7 first started talking about a time charter, there was
8 talk of doing a four-launch vessel in Alaska and a
9 two-launch vessel in the Gulf of Mexico. That didn't
10 materialize. We got a two-launch vessel, which has to
11 split time between Alaska and the Gulf of Mexico, with
12 a fairly ineffective 30-day transit between those two
13 geographic regions.

14 So we're going to basically conduct this new
15 cost analysis initially gathering the costs of the
16 cost efficiency and the data-gathering efficiency of
17 the model that we are operating that will end at the
18 end of this fiscal year. As I said before, that
19 time charter provides a vessel, a crew and some
20 equipment; that's the vessel contract, which is
21 managed right now by Military Sealift Command, and
22 then we have the A & E Brooks Act contract to provide
23 some other equipment and some survey personnel, and
24 then NOAA provides lead hydrographers, oversight and
25 data quality personnel.

1 Just a table giving you a little bit of a
2 look at what we were talking about. If we looked at
3 our FY '05 budget, we had available to us as a program
4 just under 19 million for our turnkey contracts. We
5 got only -- just less than \$2 million for vessel time
6 charter, when in fact that's closer to a \$12 million
7 per year full operation, considering both contracts
8 and the ancillary costs associated with NOAA personnel
9 and so forth. So we did not get funding in '05 to
10 execute an option year on that contract. And then
11 there was some miscellaneous survey appropriations
12 in '05, which I've just lumped together for that
13 6 million. But if you look at the President's
14 request, it's essentially 31-and-a-half million for us
15 to basically undertake these outsource mechanisms for
16 data acquisition.

17 We came to realize that the NOAA's Office of
18 Marine and Aviation Operations is interested in a
19 study to look at alternatives for data acquisition for
20 a variety of programs and costs to NOAA, and some of
21 the alternatives, possibly, for ways to secure ship
22 time and also look at other technologies such as AUVs
23 and that sort of thing for gathering information that
24 these various programs need.

25 So we felt that we could benefit from

1 partnering with NMAO and essentially secure and update
2 our 2001 cost analysis by partnering with them and
3 doing this analysis as a subset of their overall
4 analysis, and we'd just be taking advantage of the
5 expertise that's going to be applied to the study but
6 not necessarily influencing their intent at all.
7 We're just going to partner with them on trying to get
8 some efficiencies in both expertise and costs sharing
9 in getting this analysis done, because some of this
10 same information would be needed for both.

11 So for our new analysis we're going to select
12 specific hydrographic surveys conducted over a period
13 from 1996 to 2004, including those using either
14 multibeam, or side-scan sonar, or a combination of
15 those. And we're going to undertake this study in
16 such a way that we will also select surveys to compare
17 against these variety of methods that would be similar
18 in nature: Geographic region, data acquisition,
19 strategy and so forth, bottom conditions, remoteness
20 of the area, all the things that would potentially --
21 if you don't account for those things could
22 potentially make it an unfair comparison.

23 With that, again, we're going to look at
24 those areas and the operations using the full NOAA
25 ship, operations with NOAA personnel, our turnkey

1 contracts, and the time charter scenario. They will
2 also prepare a summary similar to before based on
3 these costs, and it will be cost per square nautical
4 mile. The one thing that we'd like to consider or
5 throw out for consideration is what should we be
6 looking for for a time charter paradigm should we
7 decide to continue down the time charter path? In
8 other words, with the time charter, would it make
9 sense to have one vessel that basically has to do a
10 30-day transit between the Alaska and the Gulf of
11 Mexico? Does it make sense to have the split contract
12 scenario? Does it make sense to have to have three to
13 four NOAA employees on board at all times?

14 So in summary, once again we have four
15 additional years of surveys than we had from the 2001
16 study. We have our first year of time charter survey
17 but very different from the original intended
18 implementation; we have an increase in the NOAA assets
19 with the Fairweather and the replacement of the
20 Whiting -- actually, the replacement of the Whiting is
21 not an increase but it's a newer asset -- and we have
22 potential increase in resources or at least a lump sum
23 of resources in that address survey backlog line item
24 which puts a decision in the hands of Coast Survey in
25 terms of how to go forward with our outsourcing

1 strategy.

2 So we'd like the Hydrographic Services Review
3 Panel to take a look at what we're intending to do and
4 evaluate our approach on this cost analyses to maybe
5 make some suggestions about an appropriate model for a
6 time charter, and also, maybe, to give us some advice
7 on the frequency of conducting these cost analyses:
8 Is this something that we should do every three to
9 four years, or should we do it at a higher frequency
10 or less frequency?

11 And we feel that by conducting these cost
12 analyses on a periodic basis, it will not only help
13 us make decisions, but it would also be a tool. We
14 can actually show O and B that we're essentially
15 analyzing -- we're using this as a management tool
16 to analyze the most effective manner to put the
17 taxpayers' dollars to work against that 500,000 square
18 nautical miles. So that's it.

19 And you all have copies of the 2001 KPMG
20 study, and I can certainly try to answer any questions
21 you may have and open the floor for discussion that
22 may want to take on that survey.

23 CHAIRMAN RAINEY: Thanks very much, Mike.

24 Dr. Lapine?

25 DR. LAPINE: What's the percentage of Alaska

1 shallow versus deep?

2 MR. GIBSON: I don't have that, really,
3 at hand.

4 John, can you help with that?

5 DR. LAPINE: I mean, is there a lot more
6 shallow water that needs to be done than deep water?

7 MR. GIBSON: Tell you what, I don't have the
8 figures with me right now. It's in the National
9 Hydrographic Survey's priorities, which I think you
10 all have a copy of. But what I will say is Alaska
11 is an area that the depths are going to drop off
12 fairly rapidly. So you do have some deep water areas,
13 but those areas can be subject to pinnacle rocks and
14 a lot of features that are still going to come up
15 close to the surface.

16 So the areas of concern, whether you're doing
17 in-house or contracted surveys, you become less
18 effective the closer you get into shore, the costlier
19 it is in terms of time, and that means ship days.
20 And also those areas are most dangerous to operate
21 small boats, so you have to be very careful and go
22 slow, and you also have to validate the shoreline and
23 any potential hazards of navigation that might exist
24 in that near shore area.

25 So I'd have to refer to the survey parties

1 for the actual percentage that you're asking for.

2 Both of those areas are very important, and Alaska in
3 general is about 30 to 40 percent, I believe, of our
4 total backlog of navigation significant areas.

5 MR. McBRIDE: I have a question. The number
6 of (inaudible) square nautical miles, did they confirm
7 the numbers from your initial in-house review, or was
8 there a significant difference between?

9 MR. GIBSON: We actually compared the numbers
10 when they were done. The number that we came up with
11 and again the numbers they came up with were very
12 similar.

13 MR. McBRIDE: How much did it cost for the
14 KPMG study?

15 MR. GIBSON: I believe the cost of that
16 study was in the neighborhood between 90 and
17 \$120,000.

18 MR. McBRIDE: Thank you.

19 CHAIRMAN RAINEY: Bill?

20 MR. GRAY: Bill Gray. It strikes me -- and
21 partly you got that answer -- it should be very simple
22 to find out what the numbers are. The numbers are the
23 numbers. I think that the analysis -- making a cost
24 analysis should be ongoing, a normal process to find
25 out "What does it cost me to do this, and what is the

1 result that came out?"

2 I would be more interested in what accounts
3 for the very large differences you get between the
4 three companies. You say NOAA does it, the contractor
5 does it, and the time charter. I don't know what
6 the difference between what a time charter and a
7 contractor is, but it's a private source versus a
8 Government source. And I should think for both your
9 deep and shallow, in maybe the different areas you
10 could figure out why is it so much different and what
11 can you learn from that to improve -- I don't know
12 whether the lowest numbers are good numbers for what
13 you ought to expect to be able to get.

14 And I'm also concerned from the point of
15 view -- I agree with you, Mike, that that 44,000
16 square miles of navigation are critical areas, one
17 I've harped on continually and will continue to do
18 so. Even when that is done, and at the rate we're
19 going, that's still 10, 12 years in the future and so
20 forth, there are a lot of other areas that deserve the
21 better treatment, which is technically possible now;
22 in other words, in areas that nobody feels responsible
23 for now.

24 I mention that in my paper from the Hand
25 report back in 1992 that we have substantial areas

1 that are traversed by important large vessels for
2 which nobody is responsible. We have -- I mentioned
3 before what happened down in Delaware Bay. Why aren't
4 you going down in the Delaware River in what -- I
5 think, Roger, you told me the Corp of Engineers
6 doesn't have the capability to do that. But finding
7 out how to use these newer tools in the most efficient
8 way I think should be a very important objective to
9 find out what can the numbers be; I mean, is it 18, is
10 32, or should it be 5 or something like that.

11 We've also talked about on behalf of the
12 recreational people that when you get into really
13 shallow -- or certain areas that are too shallow, I
14 guess that's where the launches come to play, but
15 there's that airborne technique for soundings that
16 we've heard about -- I forget what it's called -- and
17 so forth.

18 So I think that even when we get the 44,000
19 navigationally critical areas, there's a whole lot of
20 other areas that I think have to be subjected to this
21 better treatment, and we ought to find the most
22 efficient way to do so.

23 MR. GIBSON: Thank you.

24 If I could just follow on for a moment before
25 the next question. Actually, one of the other things

1 I did want to mention was that we are also interested
2 in possibly looking at alternatives for essentially
3 securing or undertaking our requirement using the ship
4 scenario that we do right now, whether it be in-house
5 contract or whatever, and maybe look at some emerging
6 technologies such as AUVs, obviously lidar.

7 Both of those technologies do have a lot
8 of concerns right now that we need to investigate
9 a little further. We are actually using lidar as
10 another hydrographic tool in our tool box, but
11 because of a variety of things like water clarity,
12 requirements for using lidar, the depth limitations to
13 lidar, and potentially object-detection limitations
14 with the lidar that's available right now, it's
15 difficult for me to walk away from an area and say
16 that I'm hydrographically finished with that area.

17 I may have to do some follow-up surveys using
18 side-scan sonar or high resolution multibeam or divers
19 or whatever to try to resolve items that may be
20 obstructions to navigation in those areas. But they
21 are things that we are interested in using as
22 effectively as possible, and we would like to look
23 at the costs for doing that, as well.

24 CHAIRMAN RAINEY: Helen and then Jon.

25 MS. BROHL: With regard to asking how much

1 it costs to have the study contracted out, and given
2 the closeness in numbers between in-house and the
3 contractor, what are the advantages of using someone
4 outside as compared to inside, other than the trust
5 factor, I guess, and is that really the reason, now
6 that you've confirmed? And are there advantages to
7 doing it in-house yearly, since the numbers are the
8 numbers, as Bill said, and then periodically every
9 five years having an outside firm do it?

10 MR. GIBSON: Well, those are the types
11 of things that we would like to definitely get
12 recommendations on. We felt that, you know, having it
13 done outside certainly would bring us credibility. We
14 don't want to appear self-serving, in any way, in the
15 results, and though we did research extensively the
16 O and B guidelines for conducting the full costs, we
17 did feel that a professional firm that's experienced
18 with that and does that could certainly lend some
19 credibility and preciseness to it. But, you know,
20 those are things we could certainly consider.

21 CHAIRMAN RAINEY: Jon?

22 MR. DASLER: Yeah, Mike, I just had a
23 question. You said you were looking at either
24 multibeam, side-scan, or a combination of both. Are
25 those going to be differentiated out in the costs?

1 MR. GIBSON: The surveys that will be
2 compared will be similar. And just for the sake of
3 those that may not know, in some areas, because of the
4 bottom type and the environmental conditions, we do
5 100-percent multibeam coverage. And in some areas,
6 like the Gulf of Mexico, for example, it's generally a
7 flat, sandy bottom, and it has a lot of the potential
8 obstructions in navigation, actually remnants of
9 anthropogenic delic platforms, pipes, well heads,
10 those sorts of things.

11 So we're not worried about the bathymetry,
12 so we actually -- it's very effective for us to
13 conduct 200-percent side-scan, and when we see fine
14 contacts on that side-scan, we go back and do
15 100-percent high-resolution multibeam over those
16 features and get a least depth on that and so we can
17 effectively plot those obstructions in navigation.
18 So we will compare surveys that are very similar in
19 nature.

20 MR. DASLER: I just want to make a comment to
21 the panel. I mean, it's been a tough job, I think,
22 to put together a study like this. And just the
23 complexities of it, I mean the number of contracts you
24 might have, the number of item investigations. And I
25 think I saw some documentation somewhere else they

1 were going to try to incorporate a lot of that -- are
2 they doing shoreline verification?

3 MR. GIBSON: Right.

4 MR. DASLER: And all of these other costs
5 that go into some of these task orders. And it's a
6 difficult task.

7 MR. GIBSON: That's right.

8 There was a question about AWOIS, and that's
9 the Automated Wreck and Obstruction Information
10 System, and some surveys can be costly because they
11 have an enormous amount of items that we have. We
12 have a database with these items, and they have to be
13 researched so they can determine if those -- like ship
14 wrecks or other types of things like that, that they
15 can evaluate whether those items are still there,
16 shoal features, crawl heads (phonetic), all sorts of
17 things like that.

18 And if a survey sheet is going to have a
19 large number of those types of investigations, that's
20 also very costly. So in comparing these surveys, we
21 would certainly have to be very careful to select, you
22 know, surveys of like kind and workload as a way to
23 normalize that cost analyses.

24 MR. DASLER: And along those same lines, are
25 they looking at, like, time of deployment, like if a

1 vessel's out there for the full season as opposed to
2 just going out for a month, a month's survey?

3 MR. GIBSON: Well, that's an interesting
4 question, because we actually -- as far as the turnkey
5 contracts, we contract for a survey sheet, and Brian
6 and Jeff, if you want to help me, I believe those are
7 all indefinite delivery.

8 And so essentially when we let those task
9 orders, the contractor's responsible for turning in a
10 completed survey sheet. It's a time function, per se,
11 on completion of work because of the potential for
12 weather problems and that sort of thing. So yes,
13 there are great differences between how are you going
14 to get a survey area done, whether you have a small
15 boat or a large ship; how long are you going to be
16 on site, the time of the year, the remoteness, all
17 those sort of things. So we have to be very careful
18 to try to make sure we're comparing apples and apples.

19 But when we let a contract, it's sort of, I
20 would say in most cases, and please correct me if I'm
21 wrong, it's going to be the area, the remoteness of
22 the area, the environmental conditions, that sort of
23 thing which is going to dictate the type of vessel
24 that a contractor would choose to apply to that
25 survey. So certainly if they could apply a small boat

1 versus a larger vessel, that will have a dramatic
2 effect on the cost, I would say.

3 MR. WHITING: Larry Whiting.

4 Mike, you said that a lot of times the
5 hydrographer has a right to say whenever a survey item
6 or a survey sheet is done. When we do contracting,
7 we have to have that thing complete, 100 percent, or
8 as close as possible that we can get to. Will we have
9 from your in-house surveys of the vessel time charter
10 whether or not those areas are complete as per IHO
11 specifications or your own specifications?

12 MR. GIBSON: You mean in terms of the surveys
13 that we would compare?

14 MR. WHITING: Yeah.

15 MR. GIBSON: Yes.

16 Does that make sense, Bri?

17 In other words -- I guess let me understand
18 your question. Are you saying that would we be
19 careful to compare a complete survey of a similar type
20 to a complete survey of the same type -- you know, a
21 similar type?

22 MR. WHITING: That is correct.

23 MR. GIBSON: Absolutely. Right, it would be
24 a completed survey sheet of a similar size, workload,
25 that sort of thing.

1 MR. WHITING: That shows the gaps and the
2 AWOIS and that type of thing.

3 MR. GIBSON: Right.

4 MR. WHITING: Thanks.

5 CHAIRMAN RAINEY: Helen?

6 MS. BROHL: The summary report asks that the
7 panel consider reviewing the cost analysis methodology
8 and then provide comments within six months. Is that
9 methodology underway now? Does NOAA have a
10 methodology outlined already to look at? And if not,
11 would it be appropriate for the panel to actually task
12 OCS or NOAA to prepare that methodology for review
13 rather than presume we would be in on the bottom?

14 I'm presuming we would look at their
15 methodology and comment on that, rather than actually
16 be on the ground floor and help create that
17 methodology.

18 CAPTAIN PARSONS: Helen, if I can comment on
19 that. That certainly is information we would provide
20 to a work group, the proposed methodology and all that
21 entails as far as parameters of the cost study. We
22 would not be asking the panel to create a model for
23 cost analysis but take a look at all the parameters
24 that Coast Survey is asking an independent contractor
25 to look at in comparing similar survey approaches.

1 MS. BROHL: As a follow-up, if we did ask
2 that, how long would it be before OCS provided a
3 methodology outline?

4 CAPTAIN PARSONS: We could provide that
5 tomorrow, if I'm not mistaken.

6 MR. GIBSON: I would say fairly soon.

7 CAPTAIN PARSONS: Day after tomorrow.

8 MR. GIBSON: Is that a good boss answer?

9 We're actually working on that right now, and
10 we are partnering with NOAA's Marine and Aviation
11 Operation, so it's somewhat dependent on where we are,
12 but I think we've already done somewhat of an outline
13 of the component of that that we would like to see,
14 and so it shouldn't be too many more days before we
15 can make that available, I would say.

16 CHAIRMAN RAINEY: Captain McGovern?

17 MR. McGOVERN: Andrew McGovern. Question,
18 you did this back in 2001. I guess my thing,
19 maybe, this committee, not necessarily looking at the
20 way you do this, but then what did you do after that?
21 I mean what was the result of this? You came up with
22 some numbers. Is that the reason that they brought
23 the Rainier back or the -- which one did you bring
24 back on line?

25 MR. GIBSON: The Fairweather.

1 MR. McGOVERN: The Fairweather.

2 Okay. We come out with these numbers,
3 then what?

4 MR. GIBSON: Well, the actual action to
5 reactivate the Fairweather had begun far before we
6 actually conducted that cost analysis, because it
7 took, you know, obviously years to appropriate the
8 money. It's been an ongoing project for many years.
9 So it was the appropriation of funds, and then the
10 contract to basically re-fit that vessel and so forth
11 took awhile. So the reactivation of the Fairweather
12 was independent of the results of this cost analysis.

13 And to, I guess, answer your question, we're
14 actually -- I guess that's a pretty good question,
15 because some of what we do is mandated by our
16 Congressional appropriations. So it gives us
17 information to be able to answer on our performance
18 metrics and how we're utilizing the funding. We don't
19 always get to decide what to do with it, and we do see
20 basically all of the -- or at least our approaches
21 partnering with the private sector has been very
22 effective in helping us to undertake this huge, this
23 mammoth requirement that we have, and, you know, we're
24 probably not going to get more ships, and we're
25 probably not going to get a lot of personnel in-house.

1 And a lot of expertise does reside in both NOAA and in
2 the private sector, so we're showing expertise, we're
3 sharing capacity. So in terms of continuation of what
4 we're doing, we think that makes sense.

5 So to answer your question, I'm not exactly
6 sure how to answer it in terms of what we have done or
7 should be doing as a result of these numbers. But now
8 with the fact that the '06 President's request
9 gives us a little more discretion with the
10 outsourcing, that, you know, could be our first
11 opportunity to make a programmatic decision.

12 DR. LAPINE: Yes, Lew Lapine.

13 Just strictly from a taxpayer's point of
14 view, cost of doing surveys and whatnot, and looking
15 at your tables here, I would contract everything out
16 in the Gulf of Mexico, and I'd move all the ships that
17 I had to Alaska, and then I'd use as much of that
18 \$31 million as I could to contract for more work in
19 Alaska. Is that part of your study? Why do you have
20 two ships on the East Coast when you've got most of
21 your backlog in Alaska?

22 MR. GIBSON: Well, yeah, you also have to
23 understand the ships that we have on the East Coast,
24 for example, the NOAA ship Rudy is essentially a
25 90-foot vessel. She's not going to be too effective

1 in Alaska, can't work in remote areas like the
2 Fairweather and the Rainier can. And, you know, with
3 this huge area of backlog that we have in Alaska, it
4 is so vast and so remote, you know, having the
5 Fairweather and the Rainier up in Alaska and all of
6 our contracts, we're still not putting a dent at a
7 very height rate of data acquisition of what needs to
8 be done up there.

9 So yes, the more assets we can put up there,
10 the better, whether in-house, contract or whatever.
11 But, yeah, those are the types of things that we need
12 to evaluate. We don't send our two East Coast
13 platforms to the Gulf of Mexico very often. We are
14 doing most of our contract -- a lot of contract work
15 in the Gulf of Mexico.

16 DR. LAPINE: So you have two assets that
17 aren't doing any of the critical backlog?

18 MR. GIBSON: They are doing critical
19 backlog. We have critical area also in the
20 East Coast.

21 DR. LAPINE: Hopefully in South Carolina.

22 MR. GIBSON: The other thing to keep in mind
23 is in addition to this thing called "critical area,"
24 there are areas that we call "resurvey areas," and
25 these are areas that due to either rapid environmental

1 change or cultural change, you know, we need to
2 actually resurvey some of those areas that were
3 originally critical, they did were done once, they
4 effectively get taken out of the critical backlog
5 inventory except that they need to be done every
6 three, five, whatever the cycle is for those
7 individuals areas. And those areas exist all around
8 the lower 48, as well as up in Alaska.

9 And then the other thing is, you know, being
10 a hydrographic program, we also get requirements,
11 though it's certainly not a significant component of
12 what we do annually, but there's mathemetric survey
13 required for other federal interests, as well, that
14 sometimes in transit in between those critical areas
15 we can undertake some of those areas, as well, and it
16 becomes a very effective use of those platforms.

17 MS. DICKINSON: Elaine Dickinson. When you
18 used KPMG back in 2001, can you tell us what the cost
19 was of doing that study? And would it make sense or
20 are you considering using them again, since they went
21 through the process once, then they could follow-up?

22 MR. GIBSON: Right. Your first question on
23 the cost, if I'm not mistaken, I think the original
24 contract was for 90 to \$100,000, and I believe the
25 additional work for about another month's worth of

1 services took it up to about 120,000, if I remember
2 correctly, total.

3 I'm sorry, what was the second question
4 again?

5 MS. DICKINSON: Well, since they went through
6 the process once, there would be some consistency, I
7 guess, in using them again to do a follow-up study.

8 MR. GIBSON: We didn't necessarily feel that
9 it was mandatory to use the same company. The
10 personnel that were applied from that accounting firm
11 are probably no longer even there, and they use
12 standard practices for capturing the full costs for a
13 federal program and that sort of thing. So there's
14 probably a number of firms out there that can
15 undertake this study and give us good quality results.

16 And then the fact that we're also interested
17 in partnering with NMAO on this, you know, as a
18 component of their full study, that it's probably
19 going to be competed and a qualified firm will be
20 selected to do it, and I'm sure, as far as quality
21 goes, we'll be fine.

22 MR. McBRIDE: Adam McBride. Mike, you went
23 through and studied the OMB and accounting rules.
24 You did your own analysis. You went to the private
25 sector and had that methodology confirmed, validated,

1 and actually got a pretty consistent result with it,
2 and so I'm personally not all that concerned with your
3 methodology. It seems like you've developed it, you
4 validated it, it seems to be pretty effective. I'm
5 interested, however, in what those results tell you.

6 And when I look at the results you've brought
7 here, they tell me that you should forget contracting
8 and forget time chartering. You should do everything
9 yourself in-house; that's by far the cheapest method.
10 I also seen the budget, the President's budget, that
11 he's got about \$36 million next year in this.

12 So now we know what your methodology tells
13 you the numbers are. We know what some of your
14 resources are, but obviously you can't just do it all
15 yourself because you've got some constraints. You've
16 got constraints on platforms, you've got constraints
17 on seasonalities and other elements. Walk me through
18 some of these constraints so I can understand why you
19 would ever select a contractor who's at \$58, compared
20 to your own 24, for example, or what kind of resource
21 allocation methodology you use to determine it.

22 Lewis got right at this, as well, kind of
23 make some fairly simple choices if there's, you know,
24 an endless number of platforms waiting to be
25 chartered, you can do a whole bunch of things. What

1 are the constraints you have to deal with in getting
2 this \$36 million spent effectively?

3 MR. GIBSON: Well, I mean I guess we have a
4 planning and a project management activity that takes
5 place back at headquarters, and what we effectively do
6 is we have a prioritization of areas that need to be
7 done, and that prioritization starts out with, you
8 know, what's remaining of that original 43,000 of
9 critical miles, and then the 500,000 square nautical
10 miles, and then other things we're requested to do as
11 part of a national interest. So, you know, in
12 addition to that -- that's kind of like a long-range
13 plan.

14 We probably could look at that and say next
15 year what we'd like to do, but then we also get
16 compelling requests incoming, you know, on an ongoing
17 basis about an area that has come to somebody's
18 attention that needs to be moved up. You know, it
19 could be part of that original 43, but it needs to be
20 done sooner. So every year we look at, "Okay, these
21 are the projects we need to get done with what we have
22 available." We know we have the four NOAA platforms;
23 we know what they can do. We know where we're going
24 to -- where geographically it makes sense to use them
25 because of their capability.

1 We also know that we have this \$30 million
2 for contracting them. And right now we have regional
3 contracts, so we use those regional contracts to
4 basically effectively use those contracting resources
5 to try to maximize data acquisition in the regions
6 that those contracts are led, essentially.

7 MR. McBRIDE: I mean, to what extent do
8 political requests or directions get involved in your
9 decision-making?

10 MR. GIBSON: Can I defer that question to my
11 boss?

12 MR. McBRIDE: I'm interested in knowing
13 whether the politics of the various regions of the
14 country gets involved here in decision-making.

15 CAPTAIN PARSONS: Yes, certainly it does.
16 There are a number of -- and there have been a number
17 of earmarks under the address survey backlog line in
18 recent years that have included with it a guidance
19 that we use those monies specifically in Alaska, and
20 that's primarily the specific guidance we've received
21 on how to use specific dollars.

22 There's roughly \$6 million in '05 -- and
23 we'll discuss that later on this afternoon -- that we
24 have been directed by the Hill to use in Alaska. But
25 by the most part, the remaining monies are at our

1 discretion. The contracting vehicle has been
2 determined by the HSIA. That is out of our hands.
3 But we determine where best to apply the assets,
4 whether they're in-house, whether they're contract
5 resources. And so there's a great deal of latitude,
6 but I'd be fibbing if I didn't say at times there was
7 some Congressional direction on how and where those
8 monies are to be applied.

9 While I've got the mic, Mike, if I could ask
10 one question. There has been some criticism over the
11 2001 study about how we normalized the comparisons,
12 if you will. We are comparing NOAA capabilities and
13 essentially using vessels that have already been paid
14 for with private sector vessels that have got to be
15 amortized during the course and the life of the
16 contract. Also we request our hydrographic services
17 providers to provide us a smooth sheet, which we don't
18 for our own platforms. How do we normalize those
19 comparisons, and is that something that will be
20 discussed in the methodology?

21 MR. GIBSON: Yes. Actually, in fact, when we
22 did the -- when we first approached that first cost
23 study, we did get some reaction to the fact that
24 NOAA's vessels are 30-year-old vessels, are paid for
25 and they still work, and they're very, very

1 effective. And so some felt that that was not a fair
2 comparison because, in fact, private contracting has
3 to go secure a vessel and that's an expensive venture.

4 So we actually went back, and I believe in
5 the numbers that we ran eventually, we added the cost
6 of a brand new replacement for a vessel like a Rainier
7 and then amortized that out, and essentially it did
8 not change the order or magnitude of the numbers. It
9 did not change that.

10 CAPTAIN PARSONS: In a follow-up, again the
11 2001 study included estimates for time charter, since
12 no time charter model had existed at that point. Any
13 such study that is conducted after July of this year
14 will have a year's worth of time charter model to
15 obtain cost figures on, but I think the operators of
16 that time charter would argue that that's only a year
17 and had you evaluated cost over a five-year period,
18 the costs would be driven down. Are those valid
19 arguments and how are we going to address that?

20 MR. GIBSON: Certainly with the time charter
21 there are two things. There's, you know -- I guess I
22 would have to ask, what does "cost effectiveness"
23 mean? And certainly I think I know what it's going to
24 mean. It's going to mean what did you pay for what
25 you got. And yes, one year is not enough statistical

1 data to give anybody a good answer.

2 So, I mean, I think that's something that
3 certainly we need to consider, as well. And then it
4 has a lot to do with the paradigm for the time
5 charter. You know, it depends on where they work how
6 effective they're going to be. Are they going to work
7 in Alaska deep? Are they going to work in Alaska
8 shallow; shallow and deep? You can switch projects
9 around and change the outcome of the production by
10 shifting projects, and so some of that -- you know,
11 we do consider some of that, actually, in assigning
12 projects for, you know, where a vessel's going to be
13 and how long it could potentially be there for that
14 season and that sort of thing. But we also have to
15 really go at the surveys that are required to get
16 done; that we'd really like to get done that year, so
17 it's sort of a give and take in that regard.

18 Should it be a vessel that operates -- should
19 it be a full year vessel, a vessel that's split
20 between Alaska and the Gulf of Mexico? You know,
21 maybe it would be more effective operating in a
22 different manner. So those are the types of things.
23 Should we look at possibly submitting another request
24 for information to consider doing it a different way?

25 MR. OSWALD: John Oswald. I have just one

1 comment. Mike is terribly right. I don't know how
2 many people on the -- in fact, I do this kind of work.
3 I'm a contractor for both NGS -- well, subcontractor
4 for NGS, CO-OPS and Office of Coast Survey, so I'm
5 real familiar with this work, and in Louisiana and
6 much in Alaska. We'd love to have a 90-footer in
7 Alaska.

8 Much of the surveying by contract, I would
9 say, just off the top of my head -- we have two
10 contractors here in this room -- perhaps 60, 70
11 percent has been done with boats less than 40-feet
12 long. Some of the operating areas are a little bit
13 different than where NOAA works. Utilization of
14 assets is important, you know, to put the contractors
15 in the right place. And what Mike says is entirely
16 right, is this every square nautical mile isn't
17 created equal. My view of that KPMG report -- I
18 actually read it after the FACA meeting in New York
19 City -- I think there's some fundamental flaws in that
20 that, you know, we actually, as a committee, have a
21 chance to give input, major input.

22 For instance, the shallow and the deep water
23 surveys in Alaska there, in defense of the
24 contractors, and I'm not an economist or an
25 accountant, but what was used for the deep water, I

1 would actually classify that as the shallow water.
2 It was one of these fjords that I think Roger just
3 mentioned. The deep water KPMG Alaska was based on
4 the Kenai fjords area. Parts of it are deep; that the
5 hard parts, probably 70 percent of the work is in the
6 shallow water. I see a contractor nodding, so I'm
7 close on that.

8 And then the last comment, maybe it's a
9 question. We were given a briefing in August at the
10 New York City FACA meeting by Captain Manzo related to
11 the fleet, I guess it's fleet replenishment plan, and
12 this came up, this chart from the KPMG, and he said
13 maybe it's not policy, but Captain Manzo said, as Lew
14 or anybody that's educated looks at these numbers,
15 "Well, it looks like the vessel time charter is the
16 way to go."

17 I was in Washington D.C. on February 7th when
18 the President's budget came out, and it's in this
19 package right here. We just saw the graph that the
20 vessel time charter was requested at zero. So I'm
21 saying, "Well, why -- is that a shift, or the
22 \$31 million for contract, is the vessel time charter
23 in there or" -- I'm a little confused. I hear
24 conflicting signals.

25 MR. GIBSON: I will again defer to my boss on

1 that one.

2 CAPTAIN PARSONS: Yeah, John, if I might.
3 I think one of the graphics that Mike threw up -- and,
4 Barbara, if you could go back a bit -- I think the
5 estimates from the 2001 study estimated that time
6 charter costs would be on the order of 18 or \$19,000
7 per square nautical mile.

8 Take a look at next one. Right.

9 If you take a look at the -- again, this is a
10 snapshot. The right-most column, the \$17,000 per
11 square nautical mile -- and correct me if I'm wrong,
12 Mike -- is based on four weeks', six weeks' worth of
13 data this fall up in Alaska, and the \$33,000 is the --

14 MR. GIBSON: Excuse me. I'm sorry, Captain.

15 If I may, those were -- that was basically a
16 secondary submission from the request for information
17 from industry.

18 CAPTAIN PARSONS: Okay. I'm sorry. It's not
19 based on any information we have from the recent one,
20 right.

21 So again, John, your question is why isn't
22 time charter being supported in the '06 President's
23 request, I think essentially is --

24 MR. OSWALD: Yes.

25 CAPTAIN PARSONS: The President's request

1 rolls roughly 10, 10 and a half million dollars that
2 would normally be associated with time charter up
3 into the survey backlog. By doing so, it is NOAA's
4 belief that if in fact time charter proved to be a
5 cost-effective method, we can utilize monies within
6 the survey backlog line item to apply towards Brooks
7 Act A & E contracting, towards time charter
8 contracting. It gives us that flexibility to do so.

9 We are not convinced that time charter in all
10 places at all times is the most economic way to go.
11 There may be areas where time charter is the way
12 to go. Right now time charter was mandated on us, and
13 it's a whole three-day discussion on where we got from
14 the original model to the model we have now and the
15 pros and cons of doing so. And certainly what NOAA
16 will provide to the panel are several potential models
17 for time charter. The one we have now is one model.
18 There's several we could propose that will likely be
19 more cost-effective.

20 The model we have now takes upwards of eight
21 to 10 Government employees to participate in, from the
22 standpoint of COTRs and project managers and so
23 forth. So there's as many models of time charter as
24 your imagination will allow, to some degree. So
25 hopefully by having these numbers it will allow us to

1 make the most prudent decisions on the best way to
2 contract for hydrographic services.

3 And I think your comment about seeing perhaps
4 some weaknesses in the 2001 study is exactly the type
5 of thing we would like to hear from the panel on. If
6 you see areas that perhaps -- utilized in the cost
7 model there that are not as they should be, that's the
8 kind of information we need to know.

9 MR. GIBSON: And I was going to say,
10 certainly we can go back and look at that again, John,
11 but in the selection of the surveys that were
12 compared, whether you classify that as a deep or
13 shallow, it should have been compared to an in-house
14 survey, like a Rainier survey, that had a similar type
15 of a combination.

16 So let's say if you forget about whether
17 you're going to call it deep or shallow, you say I
18 have a Survey Type A and Survey Type A. So Survey
19 Type A costs this much in-house and this much
20 contracted out. And maybe it's semantics when you say
21 "deep" or "shallow," because a lot of surveys are a
22 combination of deep and shallow. I don't think we
23 have any that are purely deep or purely shallow,
24 especially in Alaska where you can drop off to deep
25 fast because of the geometry, again, of surveying.

1 If you're surveying a water that drops off
2 and gets deep and you don't have a lot of items that
3 have to be resolved at a very high resolution, you can
4 be very, very cost-effective in that. So maybe in a
5 ratio of how much deep to how much shallow, you know,
6 it could get a little complicated. But I think the
7 intent was that we compared surveys that were very,
8 very similar. And we certainly, as we go forward,
9 want to make sure that that's in fact -- we want to
10 figure out a way to make sure we're, you know,
11 normalizing this so it is a fair comparison. And we
12 certainly attempted to do that, and if by any chance
13 we didn't, we're open to all suggestions about how to
14 refine that as we go forward into this new one.

15 MR. DASLER: Mike, again, I think it gets
16 back to a question, too, of duration of deployment.
17 Like if the Rainier is on a full-season deployment
18 doing a four- to six-week job, as opposed to a
19 contract vessel that's mobilizing for a four-week job
20 and that's all they're doing. So in that analysis do
21 they like, say, add in the mobe/de-mobe time, the
22 transit time, strictly for that one task?

23 MR. GIBSON: If I'm not mistaken -- and help
24 me, guys, if I am -- on the in-house surveys it's the
25 cost per day of operating that vessel. We operate

1 those vessels for a full season.

2 Bri?

3 MR. GREENAWALT: Brian Greenawalt. I believe
4 when we did the analysis of the in-house costs, we did
5 add the mobilization/de-mobilization for the year to
6 the particular project as if it were --

7 MR. GIBSON: As if it were the only project
8 that ship did that year.

9 MR. GREENAWALT: Right.

10 MS. BROHL: Scott, the follow-up on this
11 would be that this would be, perhaps, after listening
12 to the discussion today, clarify a more succinct
13 statement or task, and then tomorrow, as we put up all
14 the proposed tasks, we could address it more clearly.
15 And at this point we would assume -- I'm presuming
16 that NOAA will provide the methodology for us to
17 comment on.

18 CAPTAIN PARSONS: Yes, that is correct. Our
19 intention is to provide you all information that we
20 have to make your job as easy as possible, to take a
21 look at what our approach is, and how we are proposing
22 to go forward, and essentially get your read and
23 your recommendations on whether we have made all
24 considerations.

25 MS. BROHL: It's your thought that this would

1 be directed to Working Group No. 2? And if that's the
2 case, for those of us who are not in Working Group
3 No. 2, but may, by issue, want to be on one group or
4 another, as you said -- you know, as Scott said to us,
5 "Just because you've said up front you might want to
6 be on one group or another, that doesn't prohibit you
7 from moving," and I would think that's an issue-based
8 decision.

9 CAPTAIN PARSONS: Yeah, right. Certainly the
10 expertise in this room to NOAA, we don't particularly
11 care where the advice comes from. This is an
12 extremely diverse group with a lot of expertise, and
13 we leave it to you to determine who participates and
14 what recommendations are provided.

15 MR. GRAY: Bill Gray. I don't know whether
16 this is to you, Mike, or to Roger, too, but as one
17 contemplates whether something should be done by NOAA
18 or a contractor or a time charter, its private
19 industry and so forth, I presume, in large measure,
20 this was pushed because the Congress was getting this
21 pushed from the private sector "Cut us in on this
22 work." And the question I've got is, what about
23 maintaining the expertise that NOAA does on this and
24 what are the liability issues? Because just as we
25 know with certain of the reproduction of charts and

1 things like that, the private sector output, they
2 disclaim any liability for these things. And I wonder
3 whether that isn't an issue, also, with the people who
4 run contracted vessels to do this kind of work;
5 whether the people who are doing the hydrographic
6 work, the actual taking of data and so forth, whether
7 there's a liability or a quality issue there.

8 I just sort of inherently feel, just as the
9 whole activity -- it's a good thing that one of your
10 vessels is named Thomas Jefferson, because I guess
11 he sort of was the father of this being a federal
12 responsibility, with which I agree. And with all
13 these fine-tuning of the analyses of how you get the
14 costs cost-effective, I mean, which is all just fine,
15 but to me, I think we're operating to the right of the
16 decimal point, if I could put it that way.

17 And the bigger issue is who should do this
18 stuff, how fast, and what are they going to do once
19 you get rid of the rest of that 44,000 square mile
20 backlog, because that's when the continuing expertise
21 and ability and use of the most modern techniques --
22 and you quite rightly, Mike, mention the lidar and
23 some of these, I mean, there are limits to each one
24 of these things and that's why you need multiple
25 techniques to get the right answer.

1 And I sort of feel that for my part on this
2 panel, and if we're going to get this thing in Work
3 Group 2, to me, as I say, we're operating to the right
4 of the decimal point. Let's get down to the big
5 issues. Like while you're doing it, I've been looking
6 through here and I find out that out of the total NOAA
7 budget, this activity that you're talking about is a
8 fraction of one percent. It ought to be up around 20,
9 30, 40 percent to get the really critical things done
10 and then to get on to other things that ought to be
11 done, and that's where my interest is on this.
12 Thank you.

13 MR. WEST: Dick West. And I hate to bring
14 this up. I'm confused by these numbers. I tried to
15 understand them in New York, and I sat here patiently
16 for the last hour and I still have a problem.

17 Mike, did you say that even after you added
18 in the ships on the federal side, the numbers were
19 about the same; is that what you said?

20 MR. GIBSON: The magnitude was -- it did not
21 change the order of magnitude.

22 MR. WEST: Well, I don't understand that.
23 Because I still don't understand the difference
24 between -- you know, one's --

25 MR. GIBSON: In other words --

1 MR. WEST: Yeah, I heard -- you put them in
2 this way already because the public has already paid
3 for the ship, is what I think you said. Does that
4 explain the difference between 24 and 58? There's
5 something there that I'm missing.

6 MR. GIBSON: I wouldn't say that explains the
7 difference between that magnitude of difference. You
8 can certainly play it that way, but if the Government
9 buys a ship, it gets amortized out over the life of
10 the usefulness of the vessel.

11 MR. WEST: Well, no matter who buys it, it's
12 got to be amortized. So it's not fair for you not to
13 amortize it and then have the contractor have to
14 amortize it if you're trying to figure out what's the
15 most efficient way for the Government to go, because
16 at some point your ships go away and you have to build
17 a new one --

18 MR. GIBSON: Right.

19 MR. WEST: -- and so this is maybe applicable
20 if all your ships are paid for now and it's good for
21 this year, but when the ships get to the 30-year life
22 or something and you have to build another one, then
23 you have this spike. So I still don't understand the
24 difference between 24 and 58? Is it people? Is it --

25 Larry?

1 MR. WHITING: A \$58,000 job -- Larry
2 Whiting -- that was conducted by Terre Surveys on the
3 Keskey Shoal. I don't remember what the average depth
4 was, but I'll bet it wasn't much more than 25 feet, it
5 was rocky, it was in an exposed area. It is not
6 normalized, in my opinion, not normalized to the same
7 type of survey.

8 So this is what I was trying to ask about a
9 little while ago. Let's get these things normalized,
10 and that's a term from somebody else. I wasn't using
11 it, but --

12 MR. WEST: Well, I think we have to -- I have
13 to resolve, in my mind, because this is an issue on
14 the Hill, folks. I mean, let's face it, we got some
15 folks right here.

16 MR. GIBSON: I mean, there's certainly some
17 differences. If I may add, one of the reasons that
18 NOAA is very effective in Alaska -- and again, help me
19 out, guys, if I'm wrong -- is when we put a Class 2
20 vessel in an area with six survey launches, we refer
21 to that as a big gun, you essentially have seven
22 hydrographic platforms in that area for the cost of
23 that ship per day.

24 MR. WEST: So you're saying the difference is
25 then capability of the platform; is that what you're

1 saying?

2 MR. GIBSON: That's part of it.

3 MR. WEST: I need some more. I just don't
4 understand. There's an order of magnitude difference,
5 and I just can't figure out where it is. It's
6 probably simple, but it's not sinking in here.

7 CAPTAIN PARSONS: I'm Roger Parsons. I might
8 add something here. Mike, you did say, in this case,
9 the 24,000 or any of these numbers of in-house, that
10 includes an amortized cost of the survey platform, or
11 it did not?

12 MR. GIBSON: Yeah. What we did was after we
13 initially came up with numbers, there was some
14 suggestion that it wasn't fair because of the fact
15 that NOAA's vessel's already paid for. And so we took
16 some of the examples of the Rainier and we added a
17 substantial cost for a brand new replacement vessel,
18 amortized that out over the useful life of such a
19 vessel, added back into the cost of that survey, and
20 it did not change the magnitude.

21 Now, in terms of whether the same thing
22 that's amortized out on a contract, You know, I don't
23 know how you do that because we pay for those square
24 nautical miles what we pay.

25 CAPTAIN PARSONS: And again, the contractor

1 costs -- I mean, these numbers aren't based on a
2 single survey, are they?

3 MR. WHITING: Yes, Captain, that \$58,000 was
4 based on one survey, the first one -- was it the first
5 one that we did?

6 The first one that we did in Cook inland.
7 Those numbers are not normalized because it's rocks
8 out there. Nobody knew what was there. Boats don't
9 normally go in that area, but they still had to
10 delineate where it is for their approaches on the
11 inside of that. So it was not a normal survey
12 conducted by Terra Surveys for shallow water in
13 Alaska.

14 MR. GIBSON: And if I may add on to that, you
15 know, in fairness to what I think Larry's getting at,
16 that was a 2001 cost analysis based on real data for
17 what we did that was used in that cost analysis. Not
18 every survey that we've done since then has cost that
19 same amount per square nautical mile. So that's why
20 we need to redo this analysis.

21 CAPTAIN PARSONS: Roger Parsons. And again,
22 this 58 or the 35 or whatever, we're looking at
23 contracted costs, this is not an average of shallow --
24 a series of shallow water surveys in Alaska or it's
25 not an average of deep water surveys in Alaska. It's

1 a single survey cost?

2 MR. GIBSON: There were a few surveys of that
3 survey type and geographical region that were used to
4 come up with an average, but it's not a big
5 statistical sample.

6 CAPTAIN PARSONS: So it's going to be
7 encumbant upon NOAA to make sure, and I'll use the
8 word "normalize" again, that we're comparing apples
9 and apples?

10 MR. GIBSON: That's right.

11 CAPTAIN PARSONS: And certainly these
12 numbers -- if these numbers are not comparing apples
13 and apples, we're not doing justice to throwing these
14 numbers out.

15 MR. GIBSON: Right.

16 MR. WHITING: Amen. Because what this does
17 is allow the contractor -- if I'm one, I'm going to be
18 upset with this, if this is being shown to the Hill
19 to justify where the money goes. And you've added a
20 second problem by rolling it all up into one now as
21 to no matter how you parcel off your 31 million or
22 whatever it is, they're not going to agree with the
23 proportion, I don't think.

24 MR. GIBSON: Right. But the difficulty that
25 we have -- and we certainly don't disagree. That's

1 why we want to keep doing these cost analyses, we want
2 to see if in fact what we learned early on was
3 anomalous or if that is going to have a trend line
4 that's going to be down and we're going to be more
5 effective per square nautical mile at using any
6 approach.

7 But what we have to answer sometimes on an
8 annual basis, when we get questions from the Hill and
9 O and B, "What did it cost you to do this work this
10 year with these appropriations?" We have to answer
11 that question.

12 MR. WEST: I understand. And had you said
13 that before the New York City briefing, what you just
14 said there, then I would have had a better
15 understanding of this. Because if you take this
16 slide, it looks like you can't -- the contract is
17 twice as much as the Federal Government, across the
18 boards, forever. So why should I, you know -- and
19 that's a little misleading and you just opening
20 yourself up to some heartburn on the Hill.

21 CAPTAIN PARSONS: And certainly one of the
22 goals of a renewed study is to eliminate those
23 inadequacies and to normalize those comparisons.
24 That's certainly what we will strive to do with the
25 help of this panel.

1 MR. DASLER: I just had another comment. I
2 don't know if at any point are they looking at --
3 granted, these are the large operations in the big
4 critical areas, but for contracting, too, I mean
5 there's other areas, critical areas throughout the
6 United States. There's regional issues, and NOAA is
7 heavily geared up right now for the large, big
8 operations.

9 There is the NRT teams that are out, but
10 there's still a significant amount of other areas as
11 you get from navigation advisors critical areas that
12 are popping up around the country. Is any of that
13 ever going to be considered into the mix in terms of
14 cost analysis or is it mainly the bigger operations?
15 Again, it's more difficult because not every square
16 nautical mile is --

17 MR. GIBSON: That's exactly right. And
18 NOAA -- and not only that, is not every square
19 nautical mile the same in terms of, you know,
20 environmentally or remoteness and that sort of thing,
21 but I mean I think when you look at the NRTs, they're
22 actually doing a different type of work. They're not
23 conducting basic hydrography. They're not out there
24 mowing the lawn the way that the -- the NRTs do not
25 work for the hydrographic surveys division, in other

1 words. They're doing a different type of chart
2 adequacy-type work.

3 MR. DASLER: Yeah. And just from the
4 contracting standpoint, there's a lot of assets
5 throughout the U.S. that are geared up for that kind
6 of operation on a more regional level that could be
7 beneficial.

8 MR. GIBSON: So, yeah, we're open to
9 recommendations on alternatives and what we should
10 possibly try and acquire costs -- or evaluate costs
11 of doing business in certain ways.

12 CAPTAIN PARSONS: Roger Parsons. And let me
13 point out one more time that you brought up navigation
14 response teams. Navigation response teams are not
15 tasked with the responsibility of conducting basic
16 surveys. They investigate specific items and issues
17 of interest to port authorities and pilot associations
18 and interested constituents; they validate ENC's and
19 they respond to emergency situations.

20 They are not set up to conduct basic
21 hydrographic surveys in the traditional sense of
22 the word. So that is one of the reasons we have
23 not proposed the NRTs be included in this study.
24 I certainly would not say that that's not a
25 recommendation that should come from this panel,

1 but that again elevates the disparity between what
2 you're comparing. I just want to point that out.

3 MR. DASLER: You know, it's funny, not
4 it's -- I guess with more mobile survey operations
5 you're more geared up for the large ship operations
6 than doing surveys throughout the nation on a smaller
7 scale.

8 MR. GIBSON: Right, on the average, I would
9 say that's true.

10 CHAIRMAN RAINEY: Larry, did you have a
11 comment?

12 MR. WHITING: I was going to talk about the
13 NRT, but I'll save that.

14 CHAIRMAN RAINEY: John, do you have a
15 comment?

16 MR. OSWALD: I have one, just a comment.
17 I've worked for a lot of federal agencies. I've never
18 seen cost studies done like this before.

19 Will O and B or NOAA request of this
20 committee in the next few years cost studies or input
21 like this for the other contracts -- the National
22 Geodetic Survey has contracts, CO-OPS has contracts,
23 there are A & E contracts, and Roger's group has yet
24 other contracts for ENC, we had briefings on that. Is
25 this going to keep coming up? I mean, when we finish

1 this one, are you going to study, like, shoreline
2 mapping? You know, NGS I think does some still
3 in-house and they contract some.

4 CAPTAIN PARSONS: Not speaking for NGS or
5 CO-OPS, I certainly would say that any of these type
6 of activities, we owe it to ourselves and our
7 taxpayers to know exactly what we're getting and for
8 what cost. So I would certainly say it is not out of
9 the bounds of possibility that we will see other
10 program offices conduct similar cost analyses, and
11 hopefully the model that is perfected here can be
12 utilized elsewhere.

13 Charlie?

14 MR. CHALLSTROM: Yeah. This came about in
15 Coast Survey because of that part analysis O and B
16 program review tool. We expect to have to do a
17 similar type of analysis within National Geodetic
18 Survey, not this next year but perhaps the following.
19 But the difference here is that the shoreline
20 contracting, for one thing, is a whole lot smaller
21 effort, at this point, and we're making a concerted
22 effort to push that to the private sector in order to
23 leverage the capability and, in fact, leverage the
24 interest that translates to more advocacy going to
25 the Hill.

1 So there is that very recognized strategy
2 that we're using for shoreline mapping. It isn't
3 necessarily working as well as we would like it to,
4 judging by you the -- you know, we're not showing
5 great accelerations of support for shoreline mapping
6 on the Hill, but some. So we're motivated anyway by
7 pushing this to the private sector, but we're going to
8 maintain our own in-house capability, as well, too.
9 It's not just pushing it to the outside. We're trying
10 to make sure that for a collection of reasons we
11 maintain a constant response type of capability and be
12 able to generate more standards. So that's sort of
13 the outlook for shoreline mapping.

14 MR. WHITING: Larry Whiting again. I would
15 like Barb to put up what's the OCS survey cost
16 analysis sheet here? No, the one before that.

17 DR. LAPINE: The historic, '98 to 2004, one
18 of the first.

19 MS. HESS: Page 6.

20 MR. WHITING: Here's a quick audit of your
21 figures. We just added up the square nautical miles
22 completed by contracts; that's a little over 6,000,
23 and it came to \$156 million. Dividing that up comes
24 out to what? 25.98 per square nautical for
25 contracts, so --

1 CAPTAIN PARSONS: This is all areas, Alaska,
2 Gulf of Mexico, East Coast?

3 DR. LAPINE: It's a mix of everything, a good
4 sampling.

5 MR. WHITING: That's your average right
6 there, 25.98. It looks to me like it's about equal to
7 what NOAA's in-house capabilities are.

8 MR. GIBSON: I guess you could look at it
9 that way.

10 CAPTAIN PARSONS: Microphone, Mike.

11 MR. GIBSON: The math is the math. I mean
12 it's like, you know, what story do you want to tell
13 with statistics, I guess.

14 MR. WHITING: I'm just showing what
15 could be.

16 MR. GIBSON: But I think when we start
17 looking at what's the most effective use of what
18 resources and what region and for what purpose, then
19 you start getting down to, you know, a little bit
20 finer analysis, possibly.

21 CAPTAIN PARSONS: And let me just state that
22 NOAA is committed to these contracting partnerships.
23 We are not debating on whether they are beneficial,
24 whether we get adequate data. We certainly embrace
25 the processes that we're using and the data that we're

1 getting. We couldn't do what we're doing now without
2 the private sector partnering up with us on a contract
3 basis.

4 And I certainly see your point here. There's
5 a number of things you can do with numbers, and we're
6 certainly not trying to sway it one way or the other.
7 And that's the difficulty we've had with our
8 discussions with O and B and others is to define what
9 it costs per square mile, because it's a
10 multi-parametered figure -- weather, area, time of the
11 year, you name it -- and it all affects cost. I'm
12 preaching to the choir on that.

13 MR. WHITING: Dick West. And that's what you
14 have to say before you put figures like this up, so
15 there is no confusion on that.

16 CAPTAIN PARSONS: Agreed.

17 MR. WEST: Don't get me wrong, I'm not trying
18 to turn NOAA's fleet into the contractor. You have a
19 great partnership here. You've got to have a core
20 capability within the Federal Government, but you've
21 also got to have a very effective partner with a
22 contracting firm. And this is just creating a little
23 bit of friction here, in my opinion, by putting it out
24 like that.

25 MR. DASLER: And I'd just like to follow up

1 with a comment, too. There's other intangibles, I
2 think, that go into that. And I think you expressed
3 it right in that it's a partnership in working with
4 private industry. There's a lot of R and D that goes
5 on, exchange of technology and information and
6 advances on the contracting, and a lot of R and D
7 might be amortized. But there's a lot more going on,
8 I think, than people realize.

9 CAPTAIN PARSONS: And there will be a natural
10 follow-on discussion this afternoon about the
11 contracting strategies and the opportunities for
12 expanding those partnerships that Brian Greenawalt
13 will give, and a little further discussion on Brooks
14 Act A & E and how that process works, for those that
15 are a little unfamiliar with that. They're very
16 related, but what we're going to be asking of the
17 working group of the panel is to provide us
18 information on two slightly different topics, and that
19 will become more clear this afternoon.

20 CHAIRMAN RAINEY: Okay. Thanks, Mike, for
21 the flexibility and coming earlier. That allowed us
22 a lot of comment after the fact, so we really
23 appreciate that and thanks for the presentation.

24 I think we'll go ahead, and we're pretty much
25 on schedule now. The break was refreshed back there

1 at 11:00, so there is some new things out there, as
2 well. But we'll go ahead and adjourn for lunch here.
3 And we're on our own for lunch. There's a lot of
4 places around, close by.

5 If you notice on the agenda, we don't return
6 here. We'll reconvene at the hydro session that
7 John's moderating. It's over in I think it's Randall
8 A and B, so that's where we'll reconvene at 1315.
9 Thanks.

10

11 AFTERNOON SESSION

12

- - -

13 CHAIRMAN RAINEY: You wanted to add
14 something?

15 MR. WHITING: Whenever the court reporter
16 starts up, I wanted to change that figure from Page 6.
17 It's not 25 thousand per square mile. It's 20.7.
18 My math was off in my head, I'm sorry.

19 CHAIRMAN RAINEY: I'll turn the floor over to
20 Captain Parsons.

21 CAPTAIN PARSONS: A number of the panel
22 members had requested that NOAA review the Navigation
23 Services Budget for '05, and the President's request
24 under navigation services for '06.

25 There's a presentation in your book under

1 Tab K that will also be projected up here. I've asked
2 both Charles Challstrom of NGS and Mike Szabados of
3 CO-OPS to chime in at any point, particularly as it
4 relates to their particular programs, and the Charlie,
5 as the commerce and transportation goal lead, as it
6 pertains to a process. I want to give you a sense of
7 where we're at in '05 in terms of budgets and what the
8 President has requested in support of navigation
9 services in '06.

10 A slight reminder. I think you all are aware
11 that under the PPBES process, that's program,
12 planning, budgeting, execution system, NOAA's programs
13 and budgets fall under five primary mission goals.
14 Those are the mission goals within the strategic
15 plan. There's ecosystems, there are climate, weather
16 and water, commerce and transportation, and what is
17 known as organizational excellence or critical
18 support.

19 Now, while a majority of navigation
20 services -- by far the majority of navigation services
21 falls under the commerce and transportation goal team,
22 that's not to say that the products and services that
23 result from these programs do not impact ecosystems,
24 climate, weather and water, to some degree. But
25 I think it's safe to say that commerce and

1 transportation is primarily where the funding for
2 this program resides.

3 Another thing to keep in mind. That at any
4 given time NOAA, as most organizations, are working
5 within four budget cycles: Currently executing
6 FY '05, budgeting for '06, programming for '07, and
7 planning '08 through '12. It is a continuous process
8 and one that has been serving us well for a couple of
9 years now.

10 A look at where the funding for Marine
11 Transportation Systems and Geodesy -- and again, the
12 program -- while it's under the commerce and
13 transportation goal team, the program that most of
14 this funding falls under is Marine Transportation
15 System, MTS. This slide shows the FY '05 request and
16 the appropriated amounts, and it's a little
17 misleading. If I can point out under Electronic
18 Navigational Charts, although the request in '05 was
19 for a 2 million increase over the previous year, there
20 was no increase appropriated. So that particular
21 line for electronic navigation charts is funded at
22 \$4.2 million. A survey backlog, although the request
23 was 20 and half, appropriated this year is a little
24 less at 18.7 and so forth down the line.

25 I think it was mentioned earlier, the time

1 charter, while certainly, if you take a look at the
2 right, the 1.9 million appropriated will not fund
3 the time charter for a year. That amount that was
4 appropriated will extend the existing contract roughly
5 two months. So the performance period for the time
6 charter will end roughly early July. The 1.9 million
7 will take it an additional two months, and so forth on
8 this list: National Water Level Observation Networks,
9 2.7 million appropriated, and so forth.

10 The address survey backlog of 18.7 is
11 supplemented by a number of earmarks. As you see down
12 below, 6.6 million in earmarks, 4.4 which we have been
13 directed to spend on survey activities in the waters
14 of Alaska. Somebody had asked before whether there is
15 a Hill interaction with our budget to the extent that
16 it involves operations, and this is a clear example of
17 where that is. There were four separate earmarks
18 under address survey backlog, of which 6.6 are able to
19 apply to the survey backlog.

20 Mike, Charlie, do you have any comments on
21 any of the other earmarks down below in '05?

22 Pretty self-explanatory there.

23 Next couple slides talk about the Integrated
24 Ocean Observing System and the Navigation Services
25 piece of that. One thing I think you will hear from

1 Admiral West tomorrow when he briefs that on the two
2 Hill visits that were made over the last couple weeks
3 is that there is a misunderstanding or a confusion on
4 the Hill between what IOOS is and what Navigation
5 Services programs, how they support IOOS. What I want
6 to do is take you through again, step-by-step, how we
7 envision IOOS and how we see NOAA's Navigation
8 Services programs being part of that.

9 There are seven bullets below the IOOS
10 statement there, and these are the goals of the
11 Integrated Ocean Reserving System. And while the
12 second one improved the safety and efficiency of
13 marine operations is particularly interesting and
14 relevant to this committee, I would equally say that
15 Navigation Services supports, in some degree, in some
16 shape and form, all seven of the goals of IOOS. And
17 so while we hang our hat on the safety and efficiency
18 of marine operations, understand that the data we
19 produced, the products and services we produce, can
20 also support those other goals.

21 And so under Integrated Ocean Observing
22 System, this is how we envision, this is what we see
23 as our piece of IOOS on the Navigation Services side
24 in FY '05. Now, if you look through the FY '05
25 budget, you won't see these items identified as IOOS,

1 but we clearly have delineated these as supporting the
2 Integrated Ocean Observing System. And the FY '05,
3 most of these -- some of them are base and some of
4 them are active. But I think it's safe to say that
5 these are the FY '05 enacted portions of Navigation
6 Services that provide support to IOOS: Tides and
7 currents program, the hydrographic survey, and
8 shoreline mapping programs, the Nowcast forecast
9 models, the VDatum, and the last one is better placed
10 as NGS base. That's, in fact, \$22 million and
11 not 6.4.

12 So there's a consideration chunk of
13 navigation services that we see as supporting directly
14 the concept of IOOS. And oftentimes folks are looking
15 into the line items for NOAA looking for an IOOS line
16 item, and while there are several, these are not
17 identified specifically as IOOS but they do support
18 that concept and that program.

19 And then there are a number of specific
20 earmarks in '05 which are readily identifiable as IOOS
21 or, in this case, Integrated Coastal and Ocean
22 Observing Systems. There's some \$24.5 million under
23 ICOOS, and another 30.8 under the Coastal
24 Observation Technology Systems Grants. So there are
25 a number of IOOS-identified lines that have an

1 application to navigation services that are identified
2 as IOOS or, in this case, ICOOS.

3 In FY '05, navigation services is directly
4 benefiting from some of that IOOS money. The
5 Office of Coast Survey is being allocated roughly half
6 a million dollars for some additional work on
7 autonomous underwater vehicles. And NWLON, National
8 Water Level Observation Network, is receiving
9 approximately a little under \$2 million for tsunami
10 and storm surge work and to fill some NWLON gaps in
11 the system.

12 MS. BROHL: Can I ask a question on the
13 previous slide?

14 CAPTAIN PARSONS: Sure.

15 MS. BROHL: Thanks. Helen Brohl. On the
16 previous slide you have the earmarks for IOOS, the
17 IOOS-specific earmarks of 55.3 million. Could you
18 clarify those? I know of a 16 million in regular NOAA
19 appropriations under '05, but I don't -- could you
20 explain where that 55.3 million came from? It's from
21 this here?

22 CAPTAIN PARSONS: I'm sorry. Say that again,
23 Helen.

24 MS. BROHL: Okay. I guess I'm seeing a
25 little bit more. 55 is the summary of these on the

1 right, okay, and so you had the first one, the ICOOS,
2 where did that earmark come from?

3 What I recall is in the '05 appropriations
4 for NOAA, I recall the 16.5 to go for ICOOS,
5 essentially.

6 CAPTAIN PARSONS: Correct.

7 MS. BROHL: But I don't recall where the
8 other ones came from. Where did they come from?

9 CAPTAIN PARSONS: Well, there's a line in the
10 budget for weather service buoys that are envisioned
11 to be part of ICOOS.

12 MS. BROHL: Okay. So it came under weather
13 service designated for IOOS?

14 CAPTAIN PARSONS: I believe that's correct.
15 Mike?

16 MR. SZABADOS: If you're referring to the
17 weather buoys under NDBC, that was in the NOS budget
18 identified for the weather service buoys.

19 MS. BROHL: Okay, but it was identified as
20 IOOS-related stuff for weather buoys, or you're
21 breaking it out now to be something that was
22 IOOS-related?

23 MR. SZABADOS: Helen, I think it was under
24 the IOOS, but I'm not a hundred sure.

25 MS. BROHL: Okay. And the 24.5 million for

1 ICOOS, where did that show up?

2 MR. SZABADOS: That probably showed up in --

3 MS. BROHL: I see. That's together, okay.

4 All right.

5 MR. SZABADOS: That's under the Coastal
6 Service Center is managing that.

7 MS. BROHL: And then the joint NOAA/UNH
8 Observations, the 4.4 million earmark, where in the
9 NOAA line item did that show up as an earmark?

10 MR. SZABADOS: Roger, do you have that?

11 CAPTAIN PARSONS: I'd have to search through
12 the actual proposed operating plan to find that, but
13 it's one of a -- it's another joint center earmarked
14 for the University of New Hampshire.

15 MS. BROHL: It came out -- it's an NOS
16 earmark?

17 CAPTAIN PARSONS: Correct.

18 MS. BROHL: Okay. An NOS earmark under
19 what? I'm just asking because I want to understand,
20 you know, how much is just -- what I recall is seeing
21 16.5 million for IOOS that went to NOAA overall, and
22 then NOAA distributed that somehow.

23 CAPTAIN PARSONS: Correct.

24 MS. BROHL: So when I see the balance of
25 that, I mean, gee, where did it come from? Was it

1 identified as IOOS, in particular, or was it
2 generated -- did NOAA get to distribute it?

3 I mean, 55.5 million for IOOS is a huge sum
4 of money, and I'm just trying to identify how much of
5 that was identified by Congress specifically to go to
6 these areas or how much NOAA identified it to go to
7 those areas.

8 CAPTAIN PARSONS: I'd have to get back to you
9 on that, Helen. I don't think I could answer that
10 directly right now.

11 MS. BROHL: And then if you could add to
12 that, the Coastal Observation Technical System Grants,
13 were those also under NOS?

14 CAPTAIN PARSONS: I believe they were.

15 MR. SZABADOS: They were.

16 MS. BROHL: Okay. Thank you.

17 CAPTAIN PARSONS: Go to the next slide,
18 Barbara.

19 Again, there were some increases on the '05
20 budget directly associated with IOOS, and those are
21 listed here. Again, some of these were under the NOS
22 line, and I believe there may have been several of
23 these under the weather service line, as well, but
24 they are perceived and envisioned to have direct IOOS
25 implications. Some of them again affect the commerce

1 and transportation budgets.

2 Next item, the '06 request. There is a total
3 of 18.7 million in requested increases over the
4 previous year. And what I'll do is run down them
5 quickly here and then describe them in detail in the
6 next couple slides.

7 Data acquisition and processing improvements,
8 vertical datum transformation tool, the ENC's. And
9 there are several full-time equivalents and people
10 associated with some of these increases that are being
11 requested in the '06 request, as well, and all the way
12 down to the end. So let me go through individually
13 what we are requesting, what the President is
14 requesting for increases in the navigation services
15 area.

16 There is \$1 million to work on addressing
17 survey backlog and improving the capability to acquire
18 and process hydrographic data. You see some three
19 components on the bottom. Most of this \$1 million is
20 going towards the procurement of three GPS-enabled
21 buoys to assist in obtaining water level correctors in
22 the field, again roughly a third of the time required
23 to get data from the field to the chart is involved
24 with the acquisition and processing of water level
25 data. We hope to see this diminished considerably by

1 having this capability in the field.

2 Also, the procurement of satellite imagery
3 for update of shoreline and the change analysis
4 program and support the field units again with some
5 additional equipment purchases. So we have this all
6 under heading of "Data Acquisition and Processing
7 Improvements." It's part of the streamlining of the
8 data pipeline to get data from the field to the users
9 in a more timely manner.

10 \$2 million for the vertical datum
11 transformation tool. I think on several occasions we
12 have briefed the committee on the value of VDatum and
13 the ability to combine datasets that were collected on
14 different vertical datums. This will be the first
15 time, if the President's request is realized, that
16 NOAA will have appropriated funds to begin developing,
17 in earnest, vertical datum transformation tools for
18 particular geographic areas. We see this as a real
19 big plus enabling us, the three programs in here, to
20 do their work more efficiently, and also enable a
21 number of programs that utilize our data to start
22 utilizing a lot of this data that heretofore they've
23 been unable to because it's been collected by a number
24 of agencies on different vertical datum.

25 The President's request in '06 also includes

1 again a 1.9 million request for the ENC program. That
2 would bring, if realized, the total ENC funding in '06
3 up to a little over \$6 million. This will also enable
4 us to add an addition 145 ENCs to the suite, the
5 entire suite, by the end of '06, with the goal at this
6 level of completing the entire nation's ENC suite by
7 the end of 2008. That will bring the total electronic
8 navigational chart cells up to roughly 980, and we see
9 this as a realistic goal at these levels of funding.

10 And there's only so fast that we can move
11 this along. More money for this particular program
12 will not necessarily produce ENCs faster. We have
13 a partnership with a number of private sector
14 contractors to build and maintain the ENCs, and
15 there's only so fast we can push that process along.
16 So we see roughly 1.9, \$2 million increase as being
17 very beneficial.

18 Also on the increase of .7 to the mapping and
19 charting base, and this is primarily to fund two
20 additional navigational response teams. The goal
21 currently is eight navigational response teams
22 regionally based around the country, and this will
23 enable us to fund NRTs five and six with some
24 additional FTEs, as well.

25 And the Joint Hydrographic Center, there is

1 no change. The request is for \$7.5 million, which is
2 the funding realized in FY '05 for the joint hydro
3 center. Again, a commentary here, keep in mind joint
4 hydrographic center has two primary functions; one is
5 the education of future ocean mappers and hydrographic
6 surveyors, and the second is research and development
7 of new technologies for data acquisition and data
8 processing, as well.

9 Survey backlog is unique in the '06 request.
10 Monies that were allocated or appropriated to a
11 specific time charter line item in the past has been
12 rolled up into the address survey backlog. We briefly
13 discussed that before. This will bring the entire
14 address survey backlog line up to \$31.5 million.
15 And again, this is funding that is appropriated for
16 outsourcing of hydrographic services.

17 Next one. The Geodesy increase requested is
18 a little under a million dollars at 900,000.

19 And Charlie, if you want to talk about some
20 of the benefits of this increase.

21 MR. CHALLSTROM: It's predominantly focused
22 on restoring support for efforts in California and in
23 South Carolina. It's roughly split between those
24 two. These are centers of excellence that have been
25 functioning before, and in this last gyration got cut

1 out of the budget. So this has restored roughly a
2 half million to each of those state efforts.

3 CAPTAIN PARSONS: Next slide. This is a
4 requirement across NOAA that funding be allocated for
5 socioeconomic studies; in this case, a determination
6 of the value of navigation services and products. We
7 have not done a particularly good job over the years
8 of quantifying the value of our products, the products
9 of the navigation services programs, to its users.

10 We have a lot of anecdotal information on
11 how -- a lot of intuitive understanding of how our
12 products and our services benefit the users, both in
13 the marine transportation system and the coastal zone
14 management system. But this money will be used to
15 analyze and quantify exactly the benefits of this
16 program. It's not a lot of money. It's only the
17 beginning of a socioeconomic study. And I think you
18 will see this across the board in NOAA, more and more
19 of this type of funding for this type of studies.

20 MR. McGOVERN: Excuse me, Roger.

21 CAPTAIN PARSONS: Yes.

22 MR. McGOVERN: Andrew McGovern. Is that for
23 all of NOAA or just --

24 CAPTAIN PARSONS: This is just navigation
25 services, this 300,000.

1 MR. McGOVERN: Okay.

2 MR. GRAY: Roger?

3 CAPTAIN PARSONS: Sir.

4 MR. GRAY: Can you give an example of the
5 type of study you can do to get a number, kind of
6 thing?

7 CAPTAIN PARSONS: Yeah. Charlie?

8 MR. CHALLSTROM: We've got, for instance, one
9 of these studies going right now that costs about
10 100,000 -- I'm splitting it with the Department of
11 Transportation -- but it's to quantify the benefits
12 for the improvements to the GPS signals improved civil
13 signals on GPS constellation that are coming along,
14 L2C, in particular, that study is going.

15 So we're looking for efficiencies that can be
16 realized and their economic impacts. This kind of
17 information is very useful when you're justifying
18 increases to congressional staffers, so -- we have
19 several others we'd like to get underway, including
20 looking at, for instance, the footprint for coverage
21 of ports is one of those kind of studies that we
22 believe we can do more with. That's another example.

23 CAPTAIN PARSONS: And, Mike, I believe CO-OPS
24 has a study underway in the Tampa area on the value of
25 ports data to shipping companies?

1 MR. SZABADOS: That's correct. And we're
2 anticipating that to be within the month we should
3 have that completed.

4 CAPTAIN PARSONS: So again, there is a lot of
5 anecdotal information, not only on navigation services
6 and products but throughout NOAA, but not a real good
7 job of quantifying the value of those products to the
8 users.

9 MR. GRAY: Do you ask the users?

10 CAPTAIN PARSONS: I'm sorry. Do we ask the
11 users?

12 MR. GRAY: Yes.

13 CAPTAIN PARSONS: Oh, certainly, and that's
14 where the anecdotal information comes. But these are
15 more quantitative studies.

16 MR. CHALLSTROM: We are trying to come up
17 with some of the numbers. For instance, as an
18 example, this week on the GPS improvement study, we're
19 finding the value of some of those observations to the
20 energy and utility industry and how that can improve
21 their efficiency on planning, as an example. And
22 there is some quantification happening with those
23 economic benefits.

24 MR. GRAY: Well, again, I've beat this drum
25 before, but the value of accidents prevented, and

1 that's where the big money is, for sure --

2 CAPTAIN PARSONS: I wouldn't disagree. And
3 that's information we don't have. It is difficult to
4 quantify the calamities that don't occur because of
5 the products and services you provide. That's what
6 this attempt is.

7 MR. GRAY: But I'd go back to what I said
8 this morning about Delaware River; it's in excess of
9 \$100 million that's been spent. There's a lot more
10 still to be spent. And I know that may not be on
11 NOAA's watch, but it's on the Government's watch and
12 that comes back.

13 And I still see that the whole thing out of
14 the five goals, that the commerce and transportation
15 one is pitifully funded, and that's where you can
16 really make some money if you want to get things that
17 are valuable to prevent bad things from happening.

18 MR. McGOVERN: Mike, you just had mentioned
19 that you was doing that study on ports in Tampa
20 benefiting the shipping companies, but it benefits
21 a lot more. Are you doing it, I mean, on the benefit
22 to Tampa or just to the shipping companies?

23 MR. SZABADOS: It was a benefit to Tampa. It
24 was more than the maritime industry. It was actually
25 the recreational industry, the coastal managers, the

1 city managers were all included.

2 MR. McGOVERN: Okay.

3 MS. BROHL: Excuse me. Could I add, Mike,
4 could you give us an example of one of the
5 quantifiable benefits you think that you're going to
6 be seeing from the PORTS site in Tampa?

7 MR. SZABADOS: Let me repeat what I think the
8 question is. From this study, what may be the
9 benefits?

10 MS. BROHL: Yes.

11 MR. SZABADOS: I think we'd hope to quantify
12 some of the economic benefit of having that
13 information, from the mariner who can, first of all,
14 potentially lower their vessel a little bit more.
15 Actually, from the recreational area, number one user
16 for winds, PORTS winds, is the windsurfers. That
17 supports the recreational community, as well as when
18 there's an incident that does occur, in the cleanup
19 and the placement of any booms and whatnot, they use
20 the PORTS information for placement of that
21 information.

22 Again, all this was hopefully captured in
23 this. I forget the name of the economist who ran the
24 study for us --

25 CAPTAIN PARSONS: Hykeypal (phonetic).

1 MR. SZABADOS: -- who's a renowned economist
2 in the marine industry. I'm looking forward to seeing
3 that. I haven't seen it yet.

4 MS. BROHL: How will that information be
5 presented? How will it be published or presented for
6 the public or for any of us to -- is that going to be
7 an internal document?

8 MR. SZABADOS: No. Once this document is
9 available, it will be made available to the FACA as
10 well as the public. What we'd like to do is use it as
11 a basis for follow-on studies for additional port
12 areas. We could use this as a model for going out and
13 doing additional studies.

14 MR. CHALLSTROM: Roger, I might mention that
15 NOAA now has a chief economist on board to coordinate
16 these studies, and we've been working real closely
17 with Rodney Weir, the economist, to identify a number
18 of candidate opportunities, and we have probably about
19 a dozen ideas, and about five or six are already
20 started.

21 CHAIRMAN RAINEY: One comment I had on this
22 approach. Some of our experience within the marine
23 transportation system in looking at some of these
24 things, have any of these that you have gone through
25 the process and then used, I assume the premise is

1 that you'll show that there's great benefit and
2 therefore it's worth pursuing. But in the context in
3 some of the cases with marine transportation
4 infrastructure improvements, it almost comes full
5 circle. They're saying, "Well, look at the economic
6 benefits, then thereby we need user fees, you know,
7 would be appropriate to cover some of this, in some
8 cases."

9 Have you seen any of that with the effort
10 that NOAA has done as far as -- I mean, I assume that
11 the premise is that there's a great value in these
12 hydro services, and that would obviously be the
13 message we're trying to get, but I'm just curious,
14 when you've gone forward with a report like this, if
15 you've seen that kind of reaction to it.

16 MR. CHALLSTROM: I might use as an example
17 the report to Congress that we did along these same
18 lines on the value to constituents of height
19 modernization which showed values of \$12 billion for
20 the type of investment that was proposed. That was
21 a report done in 1998, and as we've seen in the
22 Congressional support for the Geodesy program, it's
23 been reflected in significant increases, showing that
24 it's worth the public investment.

25 There had been no discussion or, as far as I

1 know, even any hints of any type of generating user
2 fees from it. What they really were doing was showing
3 that it was worthy of the public investment. The same
4 thing has come out and will come out, I believe, under
5 the studies for improvements to the GPS infrastructure
6 for the civil sector.

7 I will say that there are certainly defense
8 department elements who would like the civil agencies
9 to help pay for those satellite improvements, so it
10 may cause some internal jugglings of budget, but still
11 it's still being used to justify the significant
12 public investments on improving the next couple of
13 generations on GPS.

14 CAPTAIN PARSONS: Next line is a \$1.5 million
15 increase for Nationals Current Program. And, Mike,
16 I'll let you comment on the specifics here.

17 MR. SZABADOS: This is a major upgrade to our
18 current program, which was basically in the '80s,
19 basically eliminated. This information goes into what
20 you probably traditionally know as our tide or current
21 tables. Basically the flood net into our main
22 waterways. This again is a substantial investment in
23 increasing that capability. The majority of this will
24 be contracted out. That's basically it, unless you
25 have any questions.

1 CAPTAIN PARSONS: Again, these '06 increases
2 represent nearly a \$19 million increase over FY '05
3 appropriated levels. Adam McBride had asked me just a
4 couple minutes ago whether these included earmarks,
5 and the answer is no. The President's request
6 obviously does not include earmarks. So whether we
7 will see earmarks in the actual appropriations for '06
8 is time-dependent. The President's request does not
9 reflect a number of the items that you see in the '05
10 appropriations.

11 Comments about the '05 nav services budget
12 and/or the '06 President's request?

13 MS. BROHL: Thank you. Helen Brohl.

14 I'd like to go back to the FY 2005 page on
15 NOAA Navigation Services IOOS increases. The first
16 one at the top says Autonomous Underwater Vehicles.
17 Actually, the question is about NWLON and the
18 1.94 million, Mike, address tsunami, is this part of a
19 supplemental or is this part of your regular line item
20 appropriation that you're crediting to IOOS?

21 MR. SZABADOS: There's a supplemental on
22 the Hill right now for an increase for tsunami
23 observing systems. This does not include that.
24 There's a \$1.1 million on top of this which is
25 potentially coming later this year.

1 MS. BROHL: Out of all the extraordinary sum
2 of money in '05 that went to IOOS-related stuff or
3 tsunami -- and let's say IOOS first -- how much of
4 that went to the core programs that you manage which
5 we've stated in other parts of our discussion today --
6 first parts of this are clearly the backbone for IOOS,
7 how much of it came to you or to your --

8 MR. SZABADOS: This 1.94 is included.

9 MS. BROHL: That's it?

10 MR. SZABADOS: That's included. And a
11 portion on the second page at the very bottom, Data
12 Management and Communications, there's \$1.3 million
13 for the National Data Buoy Center and NWLON and
14 PORTS. A portion of that, I'm not sure exactly, I
15 think a little less than half of that, also went to us
16 for some data management issues for developing IOOS
17 data management standards.

18 MS. BROHL: That's actually a very good
19 thing.

20 I guess I just have to say that it's an
21 extraordinary sum of money went to IOOS and how very
22 little of it went to the core programs that, as it
23 said here earlier, are the backbone of IOOS. It's
24 unfortunate there isn't more.

25 Had there been the possibility in the

1 discussion, Mike, that when you got these
2 supplementals for IOOS, that some of it could go
3 towards PORTS, recognizing that it's a one-year type
4 of an opportunity and that that in itself is a
5 precarious question, whether you want to invest one
6 year in something, you don't know what's going to
7 happen the next year, but was there any discussion
8 about that, internal discussion and talks about moving
9 forward?

10 MR. SZABADOS: There was a discussion on
11 potential for PORTS for this supplemental for IOOS,
12 and the decision was not to do that for -- a basic
13 reason is that right now PORTS O and M, it relies on
14 that partnership, a cost-sharing, and that one-time
15 funding in that partnership would not be manageable
16 or practical.

17 MS. BROHL: But could there have been some of
18 that to go to, let's say, maintenance, at least, which
19 is, you know, fixing the hardware a little bit, which
20 is more one time in the short run, as compared to the
21 operations, which is dependent upon -- I mean, I would
22 that any of the existing PORTS sites could use a boost
23 in just hardware improvements, which is different than
24 ongoing operations, which relies much more heavily on
25 the partnership, and could that have happened?

1 And then the second question is back to
2 NWLON. Given the fact that you have 175 sites out
3 there, outside the Great Lakes, that are in desperate
4 need, could more money have gone into that to upgrade
5 those even further for preparation for real-time?

6 MR. SZABADOS: As far as part of the funding
7 which went to part of the backbone, the 1.94 did go to
8 part of the backbone, which basically we see that as a
9 contribution to the PORTS system, where we do have an
10 NWLON station, and the maintenance of that, it helps
11 support that. But as far as for the additional
12 sensors funded by the partner, we did not consider it
13 funding that, no.

14 MS. BROHL: Let me ask again. I know
15 you answered this, but I want to make sure. This
16 1.94 million for NWLON was out of IOOS money separate
17 than your regular line item?

18 MR. SZABADOS: Yes.

19 MS. BROHL: Okay. Thank you.

20 CAPTAIN PARSONS: Yeah, if I'm not mistaken,
21 and perhaps Charlie or Mike can correct me on this,
22 that this half a million and the 1.9 million was NOS's
23 appropriations that came out of that 16.5 million on
24 the one slide earlier.

25 MR. SZABADOS: That is correct.

1 CAPTAIN PARSONS: Helen, if you swing back,
2 you can see the 16.5 there. NOS distributed that
3 money through a number of programs, and those that
4 directly benefited navigation services are reflected
5 in that following slide for AUVs and NWLON. So that
6 was internal NOS decisions for reallocation.

7 MS. BROHL: One more?

8 MR. WHITING: Go ahead.

9 MS. BROHL: All right. I want to ask. You
10 might not know this, but out of that 16 million that
11 NOS distributed, how much actually went to the
12 creation of regional associations which are new, brand
13 new bureaucracies to create solely different and
14 outside observations when we already have one in our
15 hand, which is called PORTS and NWLON. So I just have
16 to ask, how much of that 16 million went to regional
17 associations to create new bureaucracies as compared
18 to the investment of the federal backbone?

19 MR. SZABADOS: Helen, we'll have to get back
20 to you on that one. I don't know.

21 MS. BROHL: If it's more than what it takes
22 to support PORTS in one year, then --

23 DR. LAPINE: Helen, ask where the other
24 14 million went.

25 MS. BROHL: You mean ask specifically?

1 Yes? Thanks.

2 It would be nice to have a report on how the
3 16 million was -- 16.5 million was distributed by
4 NOS.

5 CAPTAIN PARSONS: We can certainly provide
6 that information. But again, 1.5 million went
7 strictly to support those activities related to
8 navigation services.

9 Larry?

10 MR. WHITING: NRTs, right?

11 I see you have asked for an increase to
12 support an expansion of your NRTs, but you only have
13 down .7 million for that for an increase. What is the
14 base item on that?

15 You're asking for an increase against the
16 complete mapping and charting. How much does it cost
17 us for the five or six NRTs that are in place now?

18 CAPTAIN PARSONS: It costs roughly a million
19 dollars to establish a navigation response team and a
20 little less than that to operate it.

21 MR. WHITING: That's every year?

22 CAPTAIN PARSONS: Correct; it's been coming
23 out of base.

24 MR. WHITING: A million dollars per team --

25 CAPTAIN PARSONS: To establish.

1 MR. WHITING: -- to establish, and a little
2 less than a million dollars to operate?

3 CAPTAIN PARSONS: I think it's about
4 \$700,000. I'd have to get back to you on specific
5 numbers there.

6 MR. WHITING: I'd love to have one of those
7 contracts. Yes, sir.

8 Are they being contracted?

9 CAPTAIN PARSONS: They are not.

10 MR. WHITING: Is not this type of work
11 contractible?

12 CAPTAIN PARSONS: We don't see it as being
13 contractible.

14 MR. WHITING: Any particular reason?

15 CAPTAIN PARSONS: A number of reasons. The
16 function of the navigation response team, keep in
17 mind, is primarily to address specific items
18 regionally that port authorities, pilot associations,
19 and the maritime community have.

20 The navigation response teams are staffed and
21 headed up by government employees that consult on a
22 daily basis other government agencies. This is not
23 something that a private sector contractor can do,
24 consulting and representing the Government on a
25 day-to-day basis, particularly during emergency

1 responses.

2 MR. WHITING: Emergency responses, we did,
3 what, three or four in the same time period that you
4 did for eight of them with three teams, or however
5 many in Florida. We did those same responses,
6 Terra Surveys did, and probably for a lot less money
7 than your teams cost to the Corp of Engineers. When
8 we were finished, we called up the client, said it's
9 clear. We found some items that were out there, the
10 same as your teams probably did. And so it is
11 contractible, and I, for one, can't support added NRTs
12 without some facility in there for contracting.

13 You have navigation officers in almost every
14 one of the states that contact the government, various
15 governments around. You have a proven method of
16 contracting now. I just cannot support the continued
17 use of just NRTs. That's \$5 million a year that
18 you're talking about, or a little more, once you're in
19 place. At a million dollars, there's a lot of
20 companies out there that are small businesses that
21 would very much like to have a definite contract,
22 indefinite delivery contract for these items, so --

23 CAPTAIN PARSONS: Your observations are
24 noted.

25 Other comments?

1 MR. OSWALD: Yeah, I just have one. Do you
2 know what's happening with the fiscal year -- John
3 Oswald -- the fiscal year '05 supplemental budget?
4 Is that subject to discussion here or is it legal to
5 discuss that?

6 MR. CHALLSTROM: All I know is there's about
7 35.9 -- 39.5 million in tsunami funds, mostly for dart
8 upgrades in Hawaii and Alaska, some of that will
9 affect CO-OPS. But is there other items that we
10 should be interested in here? The supplemental --

11 CAPTAIN PARSONS: Mike, I'm not aware of
12 those.

13 MR. SZABADOS: My understanding of that is
14 I believe it's passed the Senate but hasn't been
15 past the house yet. And I've been told not to expect
16 those dollars, because we're getting a portion of
17 that. I said 1.1, but we're actually getting
18 \$1.4 million to install more tide gauges to support a
19 tsunami warning system. I think we're expecting those
20 resources sometime May/June time frame, but I don't
21 think it's been passed yet.

22 The other components are the dart buoys. I
23 don't know specifically how many buoys there are going
24 to be installed, and that's really the National
25 Weather Service who's managing that component, and I

1 can't answer that question.

2 MR. OSWALD: And you don't know of any other
3 things that affect navigation services in the
4 supplemental?

5 MR. SZABADOS: In that supplemental?

6 MR. OSWALD: Yes.

7 MR. SZABADOS: That's the only ones I can
8 think of, that I'm aware of.

9 CAPTAIN PARSONS: Additional comments?

10 We'll get back to you on some of those
11 numbers and some of those sources of funding that we
12 didn't have.

13 Larry?

14 MR. WHITING: I have just one more kind of a
15 comment in general. Some of these items show
16 increases, some of them show decreases, some of them
17 show the base. You know, they're back here in a table
18 here. Can we put down the base, plus or minus the
19 increases, on each one of these sheets next time?
20 Just so we won't -- I've got to thumb back and forth
21 through these things, and I'm a little bit slow.

22 CAPTAIN PARSONS: We can provide you whatever
23 you'd like.

24 MR. WHITING: I'd sure like that.

25 CAPTAIN PARSONS: Okay.

1 MR. WEST: Dick West. Now that you've rolled
2 up this survey backlog, I assume you have a procedure
3 or a process whereby you determine what's to be done
4 in-house and what's to be done by contract, and is
5 that publicly aware? I mean, does everybody know how
6 that's done?

7 CAPTAIN PARSONS: That's correct. I might
8 state that on Friday a National Hydrographic Services
9 contract was awarded. There were five private sector
10 companies that were awarded a part of this contract,
11 of which task orders will be awarded against them.

12 What occurs now is with the -- take a look at
13 this year's budget with the roughly \$18 million in
14 survey backlog money, plus some additional funding
15 that were earmarked, we roughly have about 23 to
16 \$24 million for survey backlog.

17 We take a look -- and we have already taken a
18 look at that last year -- what areas we will need to
19 cover based on the NOAA Hydrographic Survey Priorities
20 Plan. We will take a look at what areas will go to
21 contractors, what areas will be apportioned to NOAA's
22 survey assets.

23 Again, we have two survey assets up in
24 Alaska, two on the East Coast, and the rest of the
25 work will be done through contract. So it's a

1 multi-year planning process, and the areas we address
2 depend upon the money we get. I'm not sure if that
3 answered your question or not.

4 CHAIRMAN RAINEY: Thank very much, Roger,
5 Mike and Charlie.

6 CAPTAIN PARSONS: The next briefing we have,
7 which again will lead to a task --

8 MR. McBRIDE: Are we finished with the
9 budget?

10 CAPTAIN PARSONS: Unless there are other
11 questions. Sorry.

12 MR. McBRIDE: Just an easy question, I'm
13 sure, Roger, on the budget. Adam McBride speaking.

14 The terminations or rescissions as noted in
15 these various documents, I don't understand what those
16 are. Can you help me out on those?

17 CAPTAIN PARSONS: I believe I'll have to
18 defer to Charlie on this one.

19 MR. CHALLSTROM: I'm really clearer on what
20 rescission means, which is usually a situation which
21 results when Congress first appropriates funds, and
22 then in order to make some adjustments, they pull it
23 back. So a rescission is money first given and then
24 pulled back. It's usually done as across the board,
25 relatively small percentages but it's across the board

1 type of amounts pulled back, and that's why you see
2 some funny numbers that don't really -- in the
3 detailed tables, for instance, that won't add up to
4 exactly a million dollars or a half million. They
5 started out that way and then they ended up at 467 or
6 something like that. Those were resulting from
7 various process rescissions.

8 Terminations, in general, when they're
9 specified in those budgets tables, are showing that a
10 program itself is no longer needed. That's the
11 intention of a termination, trying to be that
12 explicit. What sometimes happens in these tables,
13 though, is that they show a termination of that, but
14 in fact the base amount has been rolled up, and so
15 that no longer has a specific line item for that
16 particular item, and so it's shown as a termination,
17 but usually the amount goes up into the base.

18 MR. SKINNER: Tom Skinner. Just a question.
19 I'm trying to sort of add up things here.
20 Going back to the IOOS earmarks, the 55.3 million, if
21 you take -- let me see if my math and the way I'm
22 looking at this is correct. If you take the total
23 that goes to navigation services -- these don't have
24 page numbers, but -- which I came up with 10.7 million
25 and the amount going to the weather buoy, the total

1 comes to about 18.7 or roughly a third of the total
2 that is in the IOOS earmarks, is that -- am I reading
3 that correctly?

4 CAPTAIN PARSONS: I'm sort of missing you
5 there, Tom. The 55.3 million is specifically IOOS
6 earmarks in the '05 budget. Of that amount, I think
7 we said before roughly a million and a half was
8 allocated to nav services programs on the next page.

9 MR. SKINNER: Okay. Then the following page,
10 though, says NOAA's IOSS increases that impact
11 navigation services. Is that from that amount?

12 This is the one that has .25 million for
13 demonstration project.

14 CAPTAIN PARSONS: I'm pausing because I'm
15 trying to make the connection here. I'll make a
16 statement, but I will certainly check on it.

17 I believe the additional funds on that next
18 page are also monies that come out of that
19 \$55.3 million, which have a bearing on navigation
20 services programs but are not directly associated with
21 navigation services. For instance, AUVs an NWLON
22 upgrades are certainly identified with navigation
23 services. These are other allocations of that money,
24 which if you take a look at each of the items has a
25 navigation services application.

1 MR. SKINNER: Okay. I guess that's my
2 question. So that comes to a little over 10 million,
3 plus the 8 million for the marine weather buoys?

4 CAPTAIN PARSONS: Right, but that they don't
5 fall under the Marine Transportation System program,
6 specifically.

7 MR. SKINNER: Per se.

8 CAPTAIN PARSONS: Correct.

9 MR. SKINNER: But that will still have an
10 impact, and that's out of the 55.

11 MR. SZABADOS: Tom, let me try to hopefully
12 help and not confuse. If you go to one page where it
13 says 55.3, there's 16.5, and right underneath there's
14 the \$8 million, okay?

15 MR. SKINNER: Yeah.

16 MR. SZABADOS: The next two pages, we're
17 starting with a .49, then a .194, and then the
18 following page is a breakout of -- I believe it's a
19 breakout of how that 16.5 and 8.0 was spent in support
20 of navigational services. Based on the NOAA IOOS is
21 a committee that manages those resources, and under
22 that committee felt this is a breakout with supporting
23 navigational services.

24 MR. SKINNER: Okay. Thank you.

25 MR. SZABADOS: That's the best of my

1 knowledge.

2 MR. SKINNER: The one that starts with the
3 55.3 is sort of the overview, and then the next two
4 pages sort of break it out?

5 MR. SZABADOS: Break it out, what they felt
6 was supporting the navigational services.

7 MR. SKINNER: Okay, great. Thank you.

8 MS. BROHL: The IOOS committee, is that an
9 NOS group or an NOAA group? Who makes up the
10 committee?

11 MR. SZABADOS: Right now it's a working group
12 on NOS staff that's doing that in consultation with
13 members from the other parts of NOAA, NASDIS, National
14 Weather Service and so on is supporting that and
15 providing guidance and direction.

16 CAPTAIN PARSONS: Other comments on budget?
17 Thank you.

18 The next briefing is on NOAA's mapping and
19 charting contracting strategy and ways that we can
20 improve or expand the opportunities for the private
21 sector.

22 Back in FY '04, a house conference report
23 requested of NOAA, and let me read here: "The
24 committee expects NOAA to work with the private
25 mapping community to develop a strategy for expanding

1 contracting with private entities, to minimize the
2 duplication, and take maximum advantage of private
3 sector capabilities in fulfilling NOAA's mapping and
4 charting responsibilities." And that asks for a
5 report on what strategy NOAA will utilize.

6 NOAA submitted a report to Congress, which
7 unfortunately has not yet made it to the Hill and is
8 therefore not a matter of public record, but one of
9 the items in that report, we told Congress that we
10 would consult with the Federal Advisory Committee on
11 our current strategy for contracting. NOS has
12 policies since the late '90s on ways we will go about
13 contracting for mapping and charting services.
14 Specifically we got guidance from the Hill to focus
15 this on NOS navigation services type mapping and
16 charting, not all the fisheries and not other areas.

17 So the response that we gave and the input we
18 are looking for from this committee relates to
19 navigation service-related mapping and charting
20 activities. What we've asked Brian Greenawalt of the
21 hydrographic services division to do is give you an
22 overview on how we go about contracting, what the
23 current policy is, and lay out some expectations we
24 have of recommendations from the panel on this
25 particular issue.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Brian?

MR. GREENAWALT: Thank you, Captain Parsons.

SECOND PRESENTATION

BRIAN GREENAWALT

NOAA Hydrographic Surveys Division

MR. GREENAWALT: On this slide, this was No. 16, your handout, this is a synopsis of our budget for mapping/charting Geodesy tides and current programs. It's grown from 1994 at 50 million to about 140 million in FY '05.

CAPTAIN PARSONS: This is Tab L, by the way.

MR. GREENAWALT: These figures include funding for both in-house efforts, administration, and outsourcing. Most of the increases since 1994 have been for outsourcing. This graph shows the contract awards made by OCS and NGS over the past few years.

Spikes in 1999 is from 1998 funds that were carried over and awarded in '99. And the spike in 2004 was due to the funds appropriated for the time charter between 2002 and 2004. Those were awarded in 2004.

CAPTAIN PARSONS: And, Brian, these are for all mapping and charting activities?

1 MR. GREENAWALT: On this one I believe it's
2 just NGS and OCS mapping and charting activities.

3 Captain Parsons covered this slide. This is
4 direct from the house appropriations committee report.

5 In 1996, National Ocean Service put together
6 its contracting policy. A copy of this is included in
7 your binder. For NOAA's navigational services, this
8 is the policy that we've essentially followed since
9 '98. Policy states that contracts for survey and
10 mapping services will be awarded in accordance with
11 the Brooks Act. And that direction for using
12 Brooks Act was reiterated in the '98 Hydrographic
13 Services Improvement Act, which authorized contracting
14 to the greatest extent practicable and cost-effective
15 in the use of Brooks Act for services contracts.

16 The policy states that unless it procures
17 surveys and mapping services from qualified commercial
18 sources when such procurements are the most
19 cost-effective source, unless product or services
20 inherently governmental in nature. There is no
21 commercial source capable of providing the needed
22 product, government production and manufacture of
23 provision of products and services necessary for
24 government service or for national defense, national
25 security, and procured services cannot be reasonably

1 quality controlled to ensure safety of navigation.

2 The Brooks Act, that's covered in the federal
3 acquisition regulations, part 36.6, and it's basically
4 a qualification selection procedure in which the
5 competence and qualifications of the firm are
6 considered during selection, but price is not.

7 Under Brooks Act-type contracting, NOAA
8 announces the contracting opportunities on the Federal
9 Business Opportunities Website. In that synopsis we
10 describe the services that we are seeking and we
11 provide instructions for the firms which are
12 interested in pursuing the contract what they must
13 follow to be considered. It also gives them a
14 deadline of about 30 to 45 days after the announcement
15 appears in which to respond with their qualifications
16 statements.

17 At NOAA we have a source evaluation board
18 made up of government employees who are collectively
19 experts in the services that we're seeking that can
20 sit down and read the qualifications statements and
21 make the informed decisions. The board members
22 evaluate the qualifications as submitted in terms of
23 professional qualifications necessary to do the work,
24 their specialized experience and technical competence
25 in that work, the capacity to work to do the work in

1 the required time, their past performance, their
2 location and/or knowledge of the project area, and
3 acceptability under other appropriate evaluation
4 criteria.

5 For most of our contracts, since they are not
6 set aside for small business, our evaluation and
7 criteria, No. 6 there, would be the utilization of --
8 proposed utilization of small businesses in a
9 technical capacity on the contract.

10 Once the board sits down and does their
11 review individually, they meet as a group, discuss the
12 strengths and weaknesses of the qualifications, and
13 provide a rank list of the most highly qualified
14 firms. This list could be three to five firms,
15 possibly more. If the contract is a single award,
16 what we'll do is hold discussions with each of
17 the firms to satisfy our questions about their
18 capabilities and qualifications and then provide a
19 report to a selecting official which lists the
20 qualified firms -- the most highly qualified firms
21 in ranked order.

22 After the selection official reviews this,
23 it's passed to the contracting officer and general
24 counsel for their review, at which point the firm --
25 if this is a single award, the firm that is on top of

1 the list is given a request for proposal to which they
2 must respond with their prices and technical approach
3 to the work to be done.

4 If we're awarding -- as in this last case
5 where we selected five firms for nationwide contracts,
6 all five firms received requests for proposal at the
7 same time. In this case, we'll be negotiating
8 indefinite delivery contracts. We'll negotiate labor
9 rates, rates for equipment and so forth, and then when
10 the task orders are awarded, at that point we will
11 negotiate level of effort and technical approach to
12 the individual task orders.

13 CAPTAIN PARSONS: Brian, if I can interrupt
14 for a minute. Can you describe what you mean by
15 "negotiate"? For those that are not familiar with
16 contracting, how do you sit down with a contractor and
17 negotiate a price?

18 MR. GREENAWALT: The initial negotiations
19 will be between the contracting officer and the firms.
20 We will be -- the contracting officer will be looking
21 at labor rates for different classifications of
22 employees that will be employed, such as lead
23 surveyor, hydrographer, the tides expert; rates for
24 different class vessels for the type of work to be
25 done; rates for the survey equipment. Each piece of

1 equipment will have a rate associated with it or a
2 suite of equipment will have a rate associated with
3 it.

4 Once those rates are agreed on as being fair
5 and reasonable, a contract's awarded. And at that
6 point, we will issue a task order with the specific
7 survey area as the goal, and we will negotiate the
8 level of effort, the individual people that will be
9 put on that work, the exact equipment that will be
10 used, number of days to do the work. And again, we
11 negotiate a fair and reasonable price on each
12 individual task order.

13 Now, these task orders are not competed
14 between individual firms. If we have three companies
15 under contract and we have a task order, say,
16 Wrangell Narrows, Alaska for 40 square miles of
17 survey, we will select only one firm which we believe
18 has the best capability and expertise to do that work
19 and the capacity to do that work and negotiates
20 directly with them and not the other firms. So there
21 is no direct competition between firms on price.

22 Now, initially, in 1994, we were reluctant to
23 use this method of contracting. It wasn't until '96
24 that it was put in our appropriations bill that we
25 shall use it, and that was followed up in the Hydro

1 Surveys Improvement Act of '98, which said that we
2 shall use Brooks Act for contracting for hydrographic
3 services.

4 It was an unfamiliar process, especially at
5 NOAA. It had never been used. Our contracting
6 officers were not familiar with it, and they were
7 reluctant to use it because there was no price
8 competition. Because there's no price competition,
9 direct price competition, the feeling is that
10 there's -- the procurements are more costly than
11 price competition, but we realized the process is
12 successful. And because the program office is
13 directly involved in the negotiations as opposed to
14 all negotiations of the technical work going through
15 the contracting officer, we feel that we can get a
16 better product and a more realistic product out of
17 the contractors.

18 As I stated, the Hydro Surveys Improvement
19 Act of '98 for the acquisition of hydrographic data
20 made a requirement to use the Brooks Act, and
21 therefore NGS uses the same contracting method for
22 their acquisition of shoreline and height
23 modernization of geodetic activities. However, NOAA,
24 as a whole, stays with the traditional contracting
25 method with price competition for hydrographic support

1 on the electronic nautical charts and master chart
2 maintenance, tide gauges, installation of maintenance,
3 and current meter deployment and retrieval.

4 CO-OPS' use of the traditional contracting
5 methods, price competition was challenged last year
6 at the general accounting office and that protest
7 was denied. The CO-OPS work contracted so far is for
8 tide gauge installation and maintenance associated
9 with the NWLON and short-term projects on systems that
10 NOAA operates but contractors maintain.

11 We've also contracted for the deployment and
12 retrieval of current meters, where we conduct the
13 surveys but the contractors just deploy or retrieve
14 the equipment. To date, this has been done only on a
15 limited basis with earmarked funding, and this year,
16 I believe, looking at longer term work, we'll be
17 implementing a five-year national contract to do tide
18 gauge, current meter, and PORTS maintenance.

19 In the '98 Hydrographic Surveys Improvement
20 Act there's a statement saying that NOAA may procure,
21 lease, evaluate tests, develop and operate vessels,
22 equipment and technology necessary to ensure safe
23 navigation and maintain operational expertise; its
24 core capability. However, there's no official
25 determination of what core capability should be.

1 However, since '98, Congress has appropriated
2 additional funds to support the five survey vessels,
3 new funds for vessel equipment replacements, and
4 significant increases for PORTS, Geodesy, height
5 modernization works with states.

6 To meet the requirement for the high quality
7 data that we maintain, we need the core capability.
8 It makes us an informed consumer, an informed client
9 for the contractors. And in order to maintain the
10 capability, we need to continue our investment in the
11 fleet survey capabilities to continue to press for
12 improvements in equipment in our products. Core
13 capability and expertise are critical components of
14 NOAA's mission, especially when we're accepting data
15 from multiple sources.

16 In the interests of public safety, NOAA
17 should maintain -- it's our feeling that we should
18 maintain federal expertise in shoreline and
19 hydrographic data acquisition and continued R and D
20 for efficiency gains and technology improvement.
21 We have the personnel and equipment to operate the
22 platforms and most efficiently maximize data
23 collection.

24 Our federal expertise in data processing
25 analysis to quality control data from multiple

1 sources. The expertise is needed in electronic
2 nautical chart database maintenance to quality assure
3 the data and contract hydrographic work. It's also
4 needed in the tides and current data collection and
5 maintenance of the NWLON. And the federal expertise
6 in geodetic reference systems to support steady
7 national needs for the positioning framework.
8 This framework is important for transportation,
9 navigation, communications systems, land record
10 systems, mapping and charting efforts, defense
11 operations, among other reasons.

12 And as Captain Parsons mentioned, what we'd
13 like the panel to do is review our current contracting
14 strategy in a means to achieve an expansion of the
15 contracting opportunities for the private sector.
16 I'd like you to reexamine and validate the process by
17 which NOAA procures mapping/charting support, and
18 recommend core capability levels for NOAA. And
19 additional areas of focus could be better coordination
20 with other agencies, minimization of duplication, and
21 how best to work with private sector on improving
22 NOAA's contracting strategy.

23 Next, this is the schedule we'd like to see.
24 Right now we're having our public discussion. There
25 will be a federal register notice for comments on the

1 current policy published after this meeting. And we'd
2 like to see draft recommendations within six months,
3 after which we will draft a revised policy and publish
4 it for comment, and then finally a year from now
5 publish the final policy.

6 Thank you.

7 CHAIRMAN RAINEY: Thanks very much.

8 Any questions?

9 MR. WHITING: I've got one, but I've got to
10 find it.

11 CHAIRMAN RAINEY: While Larry's looking, can
12 I ask, is the policy in its entirety, what we're
13 seeing here, included in our materials?

14 CAPTAIN PARSONS: Yes. If you'll look right
15 after your power point presentation, there's a letter
16 dated June 19th, 1996; this is the NOS contracting
17 policy for surveying, mapping that's been enforce for
18 the last eight years. This is the primary document
19 that we're asking the FACA to review. Again, this is
20 a eight-year-old document. We'd like you to review
21 it and provide recommendations on ways we might
22 strengthen the policy we're currently operating under,
23 strengthen it from the standpoint of does this give us
24 the maximum -- or does this afford the maximum
25 opportunities for private sector contractors to

1 perform some of the work that we are currently doing.

2 Again, most of the opportunities right now
3 are afforded based on our appropriations in specific
4 line items. What we would like your opinion on is
5 whether that is effective enough to engage the private
6 sector to its maximum. We are proposing that we will
7 publish this policy over the course of the next --
8 probably within a month, and solicit public comment on
9 that, evaluate public comment on this policy along
10 with input from the FACA, and then come out with a
11 revised policy, as necessary, and put that in the
12 federal register, as well, for one last round of
13 public comment.

14 Again, keep in mind this is the NOS policy.
15 This is not NOAA-wide policy. And this specifically
16 addresses survey and mapping activities as defined
17 within the Hydrographic Services Improvement Act.
18 And if you go back and look at that, that's a
19 fairly expansive definition of what hydrographic
20 data and hydrographic services are. It's fairly
21 all-encompassing.

22 The fact that we utilize Brooks Act A & E
23 processes, that is a requirement of the Hydrographic
24 Services Improvement Act. So that, at the current
25 time, is not up for debate. You can certainly offer

1 your opinions on that, but the reason again we go
2 Brooks Act -- two reasons. One, it's legislated; and
3 two, we found it to be a beneficial way of assuring
4 quality data.

5 I think Brian pointed out, and appropriately
6 so, that when this was first ventured into back in the
7 late '90s, there was a lot of apprehension on the part
8 of NOAA to go this route. It's something we never
9 did. Those that are familiar with Brooks Act must
10 realize that it was initially enacted to control
11 quality in building construction; hence it's called
12 Architectural and Engineering, Brooks Act A & E.

13 The definition of what comes under Brooks Act
14 has been widely expanded over the years, and it's
15 fairly well-defined in the federal acquisition rules
16 as to what services must go Brooks Act A & E. So
17 that's not a bone of contention, certainly, here, but
18 we would like you to take a look at the policy and at
19 the same time provide us some of your recommendations
20 on what you think "core capability" means.

21 Obviously, we maintain a certain level of
22 expertise in hydrographic surveying in the geodetic
23 capability, in the capabilities within CO-OPS, but
24 that has never been fully defined as to what a core
25 capability is. And we can certainly provide you

1 documentation on what we see our core capability to be
2 and ask that you take a look at that and see if that
3 makes sense to you and offer recommendations if it
4 does not.

5 And then the third component of this is
6 what strategies we might implement, beyond what we
7 currently do, to expand opportunities for outsourcing
8 to the private sector. Again, I think I made several
9 comments during the hydro conference that this
10 program fully recognizes and endorses the fact that
11 partnerships with the private sector are important.
12 We can't do our work without it.

13 Larry brought up a point here a moment ago,
14 which is certainly fair game in your evaluation, on
15 whether there's some activities that we are currently
16 involved with that we don't outsource. Certainly, we
17 would like to hear your opinions and recommendations
18 on those, and I'm sure you've got several.

19 MR. WHITING: A couple.

20 CAPTAIN PARSONS: So to that extent, we'd
21 like you to just take a look at the overall approach
22 that NOS, in particular, is taking for mapping and
23 charting services.

24 MR. GRAY: Bill Gray. In the slide very near
25 the end called Charts To Panel, the third bullet says

1 "Recommend core capability level for NOAA," and the
2 next one says "Addition areas of focus: Better
3 coordination with other agencies."

4 And I guess my question is, in asking this
5 advisory committee to recommend core capability level
6 and to focus on better coordination with other
7 agencies, can this task be interpreted to include --
8 again, I brought this up before -- how navigational
9 safety monies should be spent: Coast Guard, NOAA,
10 Army Engineers.

11 And I mentioned in my example that if you put
12 it all together, all the money that's being spent by
13 the Federal Government on these things, I have a hunch
14 I would say, "Get rid of half the navigational aids
15 and give the money to hydrography and other things of
16 that type."

17 Now, that probably sounds like anathema
18 because it's a different set of organizations and
19 different departments in the Federal Government and
20 so forth; whereas you've got a policy that is just an
21 NOS policy dealing with a specific thing and doing
22 just a specific task with the private sector, and to
23 me, again, it's to the right of the decimal point.

24 The thing we ought to be concentrating on is,
25 for navigational safety for this country, an overhaul

1 of the way the coordination across the several
2 agencies work, I think is what's needed, and I would
3 regard all this stuff as a minor detail. Thank you.

4 CAPTAIN PARSONS: In response to that, I'd
5 say certainly your opinions and recommendations on
6 how we can better coordinate with other agencies is
7 certainly important. However, I would caution you on
8 venturing out into areas that are not directly related
9 to NOAA's navigation services, such as your comment on
10 Coast Guard aids to navigation. That's certainly not
11 an area that this committee has been tasked with on
12 recommending or providing advice to the NOAA
13 administrator. You may want to, as a private citizen
14 or as a member of your organization, to talk with
15 Department of Homeland Security on that.

16 MR. GRAY: Well, I'll think about it, Roger,
17 because it's just mind-boggling to me how important
18 some of the things you've had to do that are being
19 spanned over 20 years are compared to some of the
20 other things that are going on in regard to your
21 mission.

22 And again, back in the document we have the
23 five goals that were in the priorities for NOAA,
24 mission goals, and I'll get this out.

25 Ecosystems gets 29 percent of your budget,

1 climate gets 6 percent, weather and water get 23
2 percent, mission support gets 36 percent, and commerce
3 and transcription gets a little less than 5 percent.
4 That's a disgrace, in my estimation. Now that's just
5 staying within NOAA. And if I try and lump it with
6 these other things -- I think if we really want to
7 encourage commerce and transportation in a safe
8 manner, it has to go broader than NOAA.

9 CAPTAIN PARSONS: Again I would remind you
10 of the charge to this panel on what you are charged
11 with in recommending to the NOAA administrator,
12 without elaborating much further.

13 And also I'd caution you. When you take a
14 look at the apportionment of funding to each of the
15 goal teams, and I've heard this stated several times,
16 not only in this group but others, that NOAA has five
17 primary goals. The assumption being that 20 percent
18 of all of NOAA's budget ought to be appropriated to
19 each of those goals, and that's not a fair way to
20 take a look at it.

21 There's a good portion of NOAA attributed
22 to some goals that are larger than commerce and
23 transportation. While I wouldn't disagree or dissuade
24 you from believing that commerce and transportation
25 ought to have a larger budget, you've got to take a

1 look at it in the larger context.

2 MR. GRAY: That's what I'm trying to do, and
3 I feel we're being reined into, as I say, deal to the
4 right of the decimal point, and to me that's almost a
5 waste of time.

6 MS. BROHL: Helen Brohl. Brian, could you
7 clarify the order in which you want us to address
8 this? I know you said it, but if you could repeat it
9 so I understand it. Post this meeting, you're going
10 to issue a federal register notice for comments, but
11 then we provide draft recommendations within six
12 months. So I'm a little confused in the order.

13 Are you expecting to have enough comments
14 from us today, such that your federal register notice
15 would go out based upon those comments?

16 MR. OSWALD: No.

17 MS. BROHL: But then -- that's fine. If they
18 could clarify the order. I'm just kind of missing --

19 You've got recommendations -- could you just
20 repeat so I understand a little bit better, because
21 you've got two federal register notices, and I'm
22 confused on that.

23 CAPTAIN PARSONS: Maybe I can clarify this
24 one more time. Our intent is to publish the current
25 NOS mapping and charting contracting policy. We're

1 going to solicit public comment on this. In addition
2 to public comment, we want to incorporate
3 recommendations from the Federal Advisory Committee
4 on this very same policy. So two sources of input.

5 We would like input from this panel within
6 six months, so that's going to require tasking to a
7 work group; that we will specifically draft tasking
8 tonight and deliver to the panel tomorrow for their
9 approval.

10 We will revise the existing policy after
11 consideration of public comment and Federal Advisory
12 Committee recommendations. We will publish that
13 revised policy for, again, public comment and then
14 publish the final policy.

15 MS. BROHL: How long do you expect the public
16 comment for the federal register notice to be?

17 CAPTAIN PARSONS: I suspect it will be
18 30 days.

19 DR. LAPINE: I guess the follow-up is we can
20 have their comments while we're working on our
21 comments? I mean, they're liable to give us some very
22 good comments that we could include in our report, I
23 presume.

24 CAPTAIN PARSONS: "They" being?

25 DR. LAPINE: Public comments, we'll have

1 access to the public comments?

2 CAPTAIN PARSONS: Certainly we can make those
3 available, yes.

4 MR. WHITING: Okay. I found my question.

5 Brian, hearing the Brooks Act back near
6 the beginning of your presentation, you said that
7 Hydrographic Services Improvement Act required
8 Brooks Act for contracting, and you have down tide and
9 current observations, and then a little bit later you
10 say that tide gauge installation, maintenance, current
11 meter deployment and retrieval comes under standard
12 contracting procedures with price competition. I
13 assume you meant that was under the GSA schedule on
14 these things?

15 And why is not tide gauge and current meter
16 under the Hydrographic Services Improvement Act as
17 required to be under the Brooks Act? I don't have a
18 page number on that, on your slide.

19 CAPTAIN PARSONS: Mike, you may want to
20 address that. There was a challenge to an award of a
21 contract last year in CO-OPS, and Mike can explain why
22 the decision was made.

23 MR. SZABADOS: I'll take a run at it.

24 First let me just put a little caveat. I'm
25 not a contract specialist or a lawyer. I'm a simple

1 doctor oceanographer, I mean country oceanographer.

2 My understanding of that ruling that was
3 made, that the contract which went out for the
4 installation and maintenance of instrumentation does
5 not fall within the Brooks Act, because the Brooks Act
6 involves the actual management of the data. There was
7 no data management included in the Brooks Act, I mean
8 in that procurement. So it's strictly the
9 installation of the instrumentation and the operation
10 of maintenance, I think was based on that ruling.

11 MR. WHITING: Okay. Extending this question,
12 then, is the five-year national contract to maintain
13 those PORTS and NWLONs going to be under the
14 Brooks Act or under the GSA schedule or price
15 competition or fair and best value?

16 MR. SZABADOS: That is an ongoing process
17 right now, the procurement. In a public meeting I
18 don't think I can make a comment on that.

19 MR. WHITING: Okay. So you -- all right.

20 CAPTAIN PARSONS: Yes, I think there was a
21 differentiation made between an installation, a
22 deployment and retrieval and in the HSIA which talks
23 about tide and current observations. So there's a
24 level of involvement in data analysis inherent in the
25 HSIA definition that is not inherent with a simple

1 contract to install a gauge.

2 MS. DICKINSON: Elaine Dickinson. I probably
3 know less about this subject than anyone in the room,
4 but by Brian's assessment, he said that this program
5 has been quite successful. I heard him say that. So
6 I guess my question is, is there a compelling reason
7 why you feel it needs to be revised, or is there a
8 basic problem that needs to be addressed that we're
9 unaware of, or is it because someone challenged it
10 with GAO?

11 CAPTAIN PARSONS: No, we're not asking that
12 the utilization of Brooks Act be reviewed. That's
13 a requirement we have. We're going to utilize
14 Brooks Act contracting processes.

15 What we're asking is that you take a look at
16 the overall strategy. What we in the NOS policy now
17 states the type of things that we will consider for
18 contracting, and Brian gave four or five items that
19 we currently do not consider for outsourcing. Those
20 are the type -- let me just run back real quickly
21 to -- among the things that we'd like you to review
22 and consider, we will not -- we do not consider
23 outsourcing for services that are considered
24 inherently governmental, no commercial sources
25 available -- that's fairly a no-brainer -- for

1 services necessary for national defense. That's our
2 current policy. Certainly, there's nothing that
3 requires us to do that, but that is an NOS policy.
4 And where services cannot be reasonably quality
5 controlled, among some other things within the policy.

6 So we'd ask that you review the policy in
7 its entirety to see if it's a fair way to go about
8 outsourcing in our decision-making process and at the
9 same time determine whether this is the best way to
10 expand contracting opportunities.

11 As I said, right now there's a number of
12 services that Coast Survey, NGS and CO-OPS, in
13 particular, do in-house. And we're not just talking
14 here about hydrographic surveys. We're talking about
15 the production and the maintenance of nautical
16 charting products; we're talking about acquisition of
17 shoreline data for shoreline mapping, a number of
18 which are required through Brooks Act, but the fact
19 is we do outsource those.

20 So we will certainly provide you with the
21 information of the type of services and activities
22 that we outsource, utilizing this policy as a
23 guideline, and ask that you review that, and if it's
24 an acceptable policy. Maybe the answer is "This is
25 fine; march forward." If there are other areas that

1 we can strengthen to provide additional opportunities
2 to the private sector without impacting our ability to
3 do our job and provide the services and products that
4 we do, that's what we'd like to hear from.

5 MR. DASLER: I just have a question, it's
6 probably more on procedure, and maybe you addressed
7 this already, that you're going to look at that
8 tonight. But since we only have six months to respond
9 back, how is this going to be broken out into
10 work groups? It seems like it may be a larger effort
11 than one group. More procedurally.

12 CAPTAIN PARSONS: Right. And again, this
13 evening the chair and vice-chair and the working group
14 chairman will sit down with the representatives of
15 NOAA and sketch out a -- based on the conversation
16 today and the input that we've heard, sketch out the
17 outline for specific taskings of what NOAA would like
18 to receive and appropriate time lines for response.

19 Certainly, we are going to ask the panel
20 to -- and provide the panel with sufficient
21 information that they can provide us with
22 recommendations within six months. Again, it's
23 primarily a review process of what we currently do
24 and what opportunities that enables the private
25 sector.

1 MS. DICKINSON: Elaine Dickinson. I'd
2 suggest a 60-day comment period. I think 30 is
3 cutting it a little short. Not everybody reads the
4 federal register the way some of us do, and by the
5 time word gets out into private sector, I think
6 60 days would be a more reasonable time period.

7 CAPTAIN PARSONS: That's a fair comment.
8 We've not yet decided that, but I'd certainly take
9 that into consideration, the longer the better.

10 MR. WEST: Dick West. You mentioned you
11 had a protest last year. What was the basis of
12 the protest?

13 MR. SZABADOS: We contracted out services
14 deployed, tide gauges and current meters, and we'd
15 used GSA's schedule, and the protest was that we
16 should be using Brooks Act for the mechanism.
17 And the ruling -- again, I'm not a lawyer, but --

18 MR. WEST: No, you've answered it. I got
19 it. Thanks.

20 CHAIRMAN RAINEY: Any further discussion?
21 All right. You've got a comment?

22 MR. WEST: Dick West again. Well, we've got
23 contractors here. Are you guys happy with it?

24 MR. WHITING: Happy with the Brooks Act, GSA,
25 or fair value?

1 MR. WEST: The NOS policy.

2 MR. WHITING: NOS's policy -- let's see.
3 As far as NOS -- I think that there's three line
4 officers here from NOS. Their policy at Coast Survey,
5 NGS, has been to let our Brooks Act contracts. CO-OPS
6 I don't know about. I don't have any contracts with
7 them. I'm not a subcontractor on any of their
8 things. They did use the GSA schedule on the last --
9 this one. I was well aware of it. I tried to get
10 on the GSA schedule. I've tried three, four times --
11 three times now, I believe. Each time I've been
12 turned down by the GSA.

13 The GSA should be very simple: Submit your
14 rates, let's go to work. But no, there's a lot more
15 to GSA than meets the deal. So I am not happy with
16 GSA's schedule. Okay, if they're going to use the GSA
17 schedule, they -- what would I say -- they have to be
18 very specific in how those rates are put in there.
19 You can't do professional services, as this is
20 determined -- I think the Brooks Act has made this
21 professional services -- and you can't do that under
22 the GSA schedule. So we have to drop all references
23 to professional opinions and how things go.

24 In general, I am very happy with the way NOS
25 has treated the contracting. I think there's a couple

1 contractors out here that -- I see three of them out
2 there -- that are more than happy. It's a fair deal.
3 I don't mind at all showing what my costs are. "Here
4 it is: This is what it costs me to put that person in
5 the field; here's what it takes to do your job."

6 I haven't had it happen with NOS or Coast
7 Survey yet, but I have -- with the Corp of Engineers
8 I have not been able to arrive at a fair and
9 reasonable price to the Government's -- what they
10 thought I should do it for and what I thought I should
11 do it for. So I turned the work down and it went to
12 two, and that happens because of the way this law is
13 out there. If I don't feel I can do it for that, I
14 don't have to negotiate that price.

15 NOS, it just hasn't happened with us because
16 of one reason, they know what they're supposed to do.
17 They know what it takes to do those jobs. The Corp of
18 Engineers uses contracting officers. They're kids
19 that don't really know all they should about the
20 process of the hydrographic survey.

21 I think I'm preaching here. Should I stop?

22 Anyway, generally I'm very happy with the way
23 things are going. Like I said, CO-OPS on this one
24 here used the GSA schedule. I couldn't get on the
25 GSA schedule. The ENC work, I'm a subcontractor on

1 the GSA schedule to LIGIS, and most of that work is
2 being done by IIC; they had a booth here.

3 LIGIS, as far as I'm concerned, is a front.
4 It's just one lady and her machine. A front, but she
5 had the schedule and we came under it. Is that
6 right? I think it raised the price of ENCs, and I
7 don't think they're here to defend themselves, so --

8 CHAIRMAN RAINEY: Jon?

9 MR. DASLER: Yeah, I'd like to comment,
10 as well.

11 We are a contracting firm, and we do contract
12 both under GSA and under Brooks Act. We've been
13 selected and do work for NOAA on both, and, you know,
14 we're happy with that selection process.

15 The work that's being done for CO-OPS is not
16 of the nature that would fall under the Brooks Act.
17 They have their professional staff out on those
18 projects, and it's more deployment of equipment and
19 doing maintenance on equipment, and they're doing all
20 the analysis. I mean, I guess we're an example that
21 it can work both ways, and it just depends on the
22 needs of project and what the tasks are.

23 CHAIRMAN RAINEY: John?

24 MR. OSWALD: Yes. I'll try and make it not
25 too controversial. I'm also a contractor. I work

1 for the National Geodetic Survey under Brooks Act on
2 multiple contracts, multiple areas of the United
3 States. I work for the Office of Coast Survey for
4 multiple prime contractors and vessel time charter,
5 et cetera, et cetera, different, you know, contract
6 vehicles. And then I do some work through CO-OPS
7 through the GSA, and it's an extremely fine line.

8 What I do for Office of Coast Survey and
9 National Geodetic Survey are almost identical work
10 that I do for the CO-OPS group under the GSA. In my
11 view, GSA limits competition. It could be considered
12 almost a restraining of trade issue, in my view,
13 because very few people in the United States in the
14 mid-ocean industry, which is what CO-OPS wants
15 (inaudible) is pre-certified with the GSA. You have
16 to be pre-certified. It's like an 8-A type
17 arrangement. And it's all doable.

18 I think it also limits CO-OPS. If CO-OPS
19 wants to contract things that they're deficient in,
20 services, data processing, they can't do it legally
21 through the GSA in a cost competition, the way I read
22 the rules.

23 I have crossed over all different ways of
24 contracting, and I would say it's a very fine line
25 between what I'm doing for CO-OPS right now and what I

1 do for the Office of Coast Survey. They use the same
2 people, same type equipment, except now with CO-OPS,
3 for instance, they -- it's interesting, I've been
4 doing this for 35 years, so when I do my survey
5 leveling, survey task CO-OPS person is there with me,
6 you know, after having done this for 35 years. So
7 that's sort of part of the process, but -- I just
8 thought I'd make that comment.

9 MR. WEST: Are you happy with the criteria
10 that NOS uses to determine whether it's going to be
11 contracted out or whether they're going to do it
12 in-house? In other words, the four things inherently
13 government, et cetera, is that good enough?

14 MR. OSWALD: Well, I would just rate it --
15 I'd say 90 percent they're doing a real good job, you
16 know, I'd give A-minus. There's always room for some
17 improvement. I would disagree with a few things, but
18 I think it's -- if you look at the chart, you know,
19 going from 50 million to \$140 million. And there's
20 some trade organizations that would say that the NOAA
21 contracting in these mapping services is a disaster,
22 and I actually think it's quite a success story.

23 I've not seen it in other civilian parts of
24 the Federal Government. The hydrographic survey was
25 zero contracted, to my knowledge, in 1997, and it's

1 about 31 million -- well, say 31 million proposed for
2 fiscal year '06. That's a major success story there.
3 And they are getting data and it's going on the
4 charts, et cetera, et cetera.

5 MR. WEST: I think that's important.
6 Because there are people who go to the Hill and say
7 that they are not getting enough out of NOAA through
8 the contracting. In fact, they would probably say,
9 "Give it all to me, I should do it all."

10 There's a happy medium there, and I'm hearing
11 from you all that it's not bad. But the word is, the
12 people that go over there are not saying that, so
13 you've got a little bit of a public affairs-type
14 process here. And that's why I asked. If this is
15 criteria you're comfortable with, then they need to
16 shut up, I guess.

17 MR. WHITING: Yeah, Larry Whiting again.
18 I'm happy with the overall policy of NOAA's
19 contracting, and I have pushed as hard as John has
20 and Jon for more earmarks, more funding for these
21 contracting line items. There's national associations
22 that go out and lobby for this stuff.

23 But what I am not happy with is the use of
24 the assets of the contractors versus the use of the
25 assets of NOAA. There's times when they're surveying

1 the same area or don't use the assets that are
2 available for contractors.

3 A prime example, one this year, that I'm
4 going to go do the job, but they're sending us to Nome
5 to do 30 square miles in two areas, so it would be a
6 total of about 60 square miles. We have to hire a
7 ship to get us there, we have to figure out a way to
8 support ourselves in that area, and how to go about
9 supporting ourselves in what is -- Nome's just south
10 of the Arctic Circle. We have to get there roughly
11 the first part of June and be out of there by the
12 15th of August.

13 They could bring in one of their big guns, I
14 think is what the term was this morning, and be out of
15 there in two weeks. We're going to be there for two
16 months, two and a half months. That's the window of
17 the frame for surveying there. Is that the best use
18 of us?

19 Wrangell Narrows, 40 square miles. We
20 surveyed there every year for the last 10 years for
21 the Corp of Engineers. Why don't we go down and do
22 this one? That's the type of thing that I'm not happy
23 with as far as NOS's contracting. I'll go to Nome,
24 I'm a contractor. It just costs more. That bumps up
25 that square miles that we were talking about, so --

1 CAPTAIN PARSONS: Surveying certainly is a
2 rough business.

3 But if I could ask Brian, we just awarded a
4 contract and selected five contractors. This year we
5 will obligate roughly \$24 million. How do we go about
6 selecting contractor A, B or C to survey in location
7 one, two or three? What is the process by which that
8 is evaluated by which Terra Surveys or Fugrow or
9 whatever company it is are assigned task order to
10 address a specific area?

11 MR. GREENAWALT: Okay. First we look at
12 the funding that's available, and from that -- and
13 the companies that we have under contract and their
14 capability, and we look at what are the highest
15 priorities that we need to address. And in that mix,
16 too, is, of course, our in-house assets, and our
17 operations branch goes through and makes the
18 determination which assets need to go where. We're
19 trying to address the highest priorities first.

20 CAPTAIN PARSONS: And it's safe to say that
21 each of the five contractors selected for this most
22 recent contract are not equally qualified to conduct
23 surveys equally every place in the United States based
24 on their level of experience?

25 MR. GREENAWALT: That's correct. Many of

1 them have more experience, say, working the Gulf
2 of Mexico, East Coast or West Coast, than they do
3 in Alaska. All firms, to some extent, have some
4 experience in Alaska but not the same level.

5 The assets that they propose, such as the
6 type of vessel that they have under subcontract, comes
7 into play as whether we're going to put them out on
8 the peninsula or some open coast or areas like Nome,
9 where Larry has some smaller vessels that can be
10 barged out there, or he has the experience taking
11 his equipment and installing them on vessels of
12 opportunity, so we would rely on him to tackle a
13 project such as Nome because of his experience.
14 He's had experience working in that area. We take
15 all of that into consideration when we're assigning
16 work.

17 CAPTAIN PARSONS: Larry, without addressing
18 specifically this survey you brought up, I can assure
19 you that we take a look at -- and we certainly want
20 the most bang for the buck, so we certainly take a
21 look at what the capabilities of our in-house assets
22 are, what the capabilities of our contract assets are
23 and assign them accordingly. And again off line and
24 with the folks at HSD, they can certainly describe to
25 you why in the case you brought up your firm was

1 selected for that particular area.

2 But we do take a look at, overall, what our
3 ships and our field parties are capable of doing, what
4 our contractors are capable of doing, and where the
5 best assignment of resources are.

6 MR. DASLER: I just wanted to make another
7 comment, Richard, to some of your remarks.

8 I think the big thing now -- I mean, with the
9 award of five contracts, the assets are significantly
10 increased in pursuing the critical backlog. And
11 probably the big effort now is getting the funding in
12 place to support all of those assets, and I think
13 that's again something that the panel, even if we can
14 get letters of support going through Lautenbacher, it
15 would just be more ammunition for him to support that
16 effort.

17 MR. MCGOVERN: Andrew McGovern. I just
18 noticed Larry before, I think he gave a good reason
19 for keeping that core capability up when he was
20 talking about the contracting officers; that when he
21 works with a contracting officer from NOAA, the guy
22 knows what he's talking about, he's been there, done
23 that. And when he's working with a contracting
24 officer from the Corp, who's maybe a kid right out of
25 school or something, "Okay, this is your job now,"

1 he's not -- you know, it's hard to negotiate with
2 somebody who doesn't know what they're talking about.
3 So it seems like that's a good reason, that's a good
4 plug for keeping that capability.

5 MR. WHITING: I believe that, too. And I
6 also think that it's a good plug that they selected
7 Terra Surveys to go to Nome. Nome is really bad
8 off shore, okay? So anyway, thank you.

9 MS. BROHL: I have a question about the --
10 to follow up on what Larry said, it doesn't sound like
11 the universe of contractors is so enormous, and you
12 obviously have a rapport with NOAA. You've been doing
13 this for a long time. Is there not an avenue to
14 communicate concerns or to go back and -- I mean, it
15 just -- I guess I'm missing -- is there just not
16 something built in here? Is it this decision-making's
17 so much in a vacuum that those kind of concerns cannot
18 be expressed on the front end?

19 MR. WHITING: We express our concerns to
20 NOAA, and they have asked us for several different
21 scenarios of where we thought we could go. And it's
22 just an informal "Here's a little letter and we think
23 we can go here or we could go here, but why don't we
24 go here?" And that does take place. There were five
25 or six of them over the course of this fall and winter

1 in anticipation of this field season.

2 One thing that I'm not happy about with NOAA
3 is the inability of -- and I understand Government
4 regulations, sometimes, anyway, about RFPs going out
5 to a contractor before they have the funds
6 established. So the thing is is that if we knew where
7 we were going in November, if we knew in November
8 where we were going to go in June, and we had a
9 contract or a task order in place, things would be
10 less expensive for everybody involved in that.

11 So that's one part of this thing that doesn't
12 happen. We don't get an RFP until probably tomorrow
13 for this work that's going to be taking place in June,
14 and that doesn't leave much time to get things out
15 there. This is "Let's go to work and let's do
16 overtime."

17 CAPTAIN PARSONS: But certainly the
18 procurement process is one we could debate for several
19 days, as well, but again, without appropriations we
20 can't award a task order, and you know all that that
21 goes along those lines.

22 But again, let me make one last comment on
23 this; that certainly it is in NOAA's best interest to
24 facilitate these contracts so that we don't set up --
25 and I use that term loosely -- so we don't set up a

1 contractor for failure. It does us no good, it does
2 you no good, it does the public no good.

3 Certainly we're looking for success stories,
4 and we're looking to award contracts and task orders
5 in those areas that we know the contract's been
6 handled based on experience. And for new contractors
7 that are new in the arena, I think it's safe to say
8 that we probably award less demanding surveys than
9 the more experienced contractors. And as those less
10 experienced contractors grow in capacity, they will
11 normally be assigned the more difficult ones, as well.

12 So are each of our contractors equally
13 capable? I would say they're capable but not equally
14 capable, depending on the area and what's being asked
15 of them. And again, it's a negotiated process.

16 MR. DASLER: I think the panel should be
17 aware, too, there are some tremendous success
18 stories. I mean, I think most of the contractors,
19 We believe it's a partnership in working with NOAA.
20 And there were some papers presented at this
21 conference, and then we presented some in the past
22 on TSOA.org (phonetic), papers from this conference
23 and from the 2003 conference that address some of the
24 partnering and the great working relationships and
25 the exchange of information, and it's been real

1 rewarding for both NOAA and private sector.

2 CAPTAIN PARSONS: Right. And as the admiral
3 pointed out a minute ago, perhaps these are the type
4 of stories that need to be told. We hear an awful lot
5 from detractors of the process that go up to the Hill
6 and perhaps state some things that are a bit different
7 than what we've heard here today. That will always
8 occur.

9 But it's encouraging, from my perspective,
10 and I think Charlie and Mike can agree, as well, that
11 the successes we've experienced and the successes that
12 I hear today are certainly something we want to
13 continue.

14 MR. WEST: Dick West. Continuing on that
15 theme, I think it would be good if this FACA could
16 endorse -- or I'm not sure what the right word is --
17 the fact that you've heard that NOAA believes they
18 have to have an inherent capability to train NOAA,
19 and we should say we support that. Because some of
20 the detractors on the Hill are saying it all ought to
21 be done by contracting. And I don't agree with that,
22 and I think most of us don't, and I think we've seen
23 why NOAA does that, and the Federal Government has to
24 have some inherent. So for us to say, as we're
25 reviewing all this, to make that statement, too, may

1 help a little bit for this discussion on the Hill.

2 CHAIRMAN RAINEY: Okay. Well, Brian, thank
3 you very much.

4 That brings us to the conclusion. And I
5 guess I just wanted to steal the mic here and just
6 make a couple comments here and we'll adjourn for the
7 day. But I appreciate everybody's interest and
8 attention and patience.

9 Again, I passed out the letter to Admiral
10 Lautenbacher. If you could take a look at that
11 sometime tonight. We'll hopefully get that approved
12 tomorrow.

13 The last thing is a personal favor I'd like
14 to ask the panel. A lot of what I do here today,
15 besides passing the mic, is just kind of looking out
16 at everybody's face and everything. And the point I
17 guess I want to make or an observation I want to make
18 is over the past few meetings we've had subjects come
19 up that are of extreme interest to some members and
20 maybe not so much to the others, and one of my goals
21 is to try to get the FACA process as best understood
22 and under control for us so the process is the
23 process, but we get to our content and can work it.

24 And I'm very intent and hopeful that we get,
25 you know, contributions from all the members on what

1 they're interested in, and one of the ideas that I
2 had -- and I make no promises at all, so this is just
3 a personal request from me -- is if everybody tonight
4 who wants to, and again, there's no promise of what I
5 can do with it, but just write down the top one thing,
6 or two things, at the most, that in the context of
7 what we're doing here as the FACA, okay, in the
8 context of advising the NOAA administration on hydro
9 services, that you think is the most important thing
10 to you: Why are you here on the FACA? What's your
11 interest?

12 There's a few people that have been engaged
13 on some different issues. But I have been thinking
14 sometime about getting -- you know, about just simply
15 going through that exercise of, you know, what is it
16 that's important to everybody, and I'll compile that
17 and we'll see. But I would just be personally
18 interested if people would take the time to simply
19 write down the content that you think is important to
20 you here on the FACA. I'd like to kind of see that,
21 and then I can obviously distribute that to the
22 members.

23 But certainly we've tried it a number of
24 different ways at the different meetings and over the
25 emails, but I just clearly want everybody to have an

1 opportunity to weigh in from your expertise and your,
2 you know, experience with NOAA Hydro Services. I just
3 think that would be worth doing, taking a few minutes
4 of everybody's time and putting that all together and
5 just show it to folks. And we may be able to thread
6 that back through the process, you know, through our
7 working groups or something like that, and there may
8 be some things that pop up that we can deal with
9 content-wise. So that's just a personal request. I
10 would be interested if folks would be willing to do
11 that.

12 And just to, I guess, turn around here. Is
13 there any other further comment from the public? We
14 had some good comments earlier this morning, and we'll
15 get them distributed and entered into the record.
16 And we'll just open it up before we adjourn, if
17 there's anything further.

18 Tomorrow is our regularly-planned public
19 comment. But we can open it up here, if there is
20 anything. Sir?

21 THE PUBLIC: I'm Don Jagoe of SAIC. Thanks.
22 I'll just make a very short comment, because I know
23 I'm between you and happy hour.

24 We at SAIC pride ourselves on being a
25 contractor for the services and greatly appreciate

1 the opportunity to do this what we consider to be
2 nationally-important work. And it is truly a
3 partnership, and you should not be disabused by
4 anybody, maps or any other organization. It is truly
5 a partnership and, from our perspective, is going
6 extremely well.

7 I make two very brief corridors there.
8 One is that NOAA technical and NOS and specifically
9 HSD have a tremendous capability that I don't believe
10 is matched by their capability in the contracting
11 office, purely because of resource constraints. And I
12 think Captain Parsons is taking steps to improve that,
13 but they need help there getting contracts through.
14 And again, it's just resources. The people they have
15 are fantastic. They're just overworked.

16 The second thing I would mention is that,
17 compared to other agencies, NOAA does appear to have
18 somewhat of an impediment in the process by the
19 requirement to have legal adjudication by the
20 Department of Commerce legal department, which is
21 byzantine at best and slow at worst, and that does
22 have an effect. It has an effect in the field,
23 because as Larry said, we get an RFP -- in fact, we're
24 waiting now for an RFP. We'll get that, and then we
25 want to take advantage of the good weather, which is

1 all too brief, and if you're in fact waiting for two
2 or three extra weeks because of a legal review, that
3 means you're not going to get as many miles done that
4 year. And perhaps the panel could have some affect in
5 speeding that along. Thank you.

6 CAPTAIN PARSONS: Tongue in cheek, if we
7 could change the fiscal year to match the weather
8 patterns, I think we'd be all set.

9 MR. WHITING: I believe it's actually passing
10 the appropriation bill that takes place in January,
11 usually, instead of the end of the fiscal year.

12 MS. BROHL: We're in November after the
13 fiscal year still.

14 CHAIRMAN RAINEY: Okay. Well, seeing there's
15 no other comments, again thanks very much. This has
16 been wonderful to have the public attendance.

17 And why don't we go ahead and adjourn for
18 the day then. Thank you.

19

20 (Time adjourned: 5:15 P.M.)

21

22

23

24

25

1 REPORTER'S CERTIFICATE

2
3 I, PATRICIA P. MACDONELL, CSR No. 5692,
4 Certified Shorthand Reporter, certify:

5 That the foregoing proceedings were taken
6 before me at the time and place therein set forth;

7 That the meeting of the HSRP and public members
8 was recorded stenographically by me and was
9 thereafter transcribed to the best of my ability,
10 having been told the meeting could not be interrupted
11 in any manner;

12 That the foregoing is a true and correct
13 transcript of my shorthand notes so taken.

14 I further certify that I am not a relative
15 or employee of any of the parties, nor am I
16 financially interested in the outcome of these
17 proceedings.

18 I declare under the penalty of perjury
19 under the laws of the State of California that
20 the foregoing is true and correct.

21 Dated this 6th day of May, 2005.

22
23 
24 _____
Certified Shorthand Reporter